

United States
Nuclear Waste Technical Review Board (NWTRB)

Transcript

Summer 2022 Board Meeting

Tuesday
September 13, 2022

PUBLIC MEETING - DAY ONE
In-Person and Virtual

Arlington, Virginia

Diversified Reporting Services, Inc.
(202) 467-9200

NWTRB BOARD MEMBERS IN-PERSON

Jean Bahr
Paul Turinsky
Kenneth Lee Peddicord
Tissa Illangasekare

NWTRB BOARD MEMBERS VIRTUAL

Steven Becker
Allen Croff

NWTRB EXECUTIVE STAFF MEMBERS IN-PERSON

Daniel Ogg
Neysa Slater-Chandler

NWTRB PROFESSIONAL STAFF MEMBERS IN-PERSON

Hundal Jung
Yoonjo Lee
Bret Leslie
Chandrika Manepally
Roberto Pabalan

NWTRB ADMINISTRATION STAFF MEMBERS IN-PERSON

Jayson Bright
Casey Waithe
Davonya Barnes
Sonya Townsend

INDEX

| | <u>PAGE NO.</u> |
|--|-----------------|
| Call to Order and Introductory Statement Dr. Jean Bahr, Board Chair | 4 |
| Opening Remarks Dr. William Boyle, DOE, Office of Nuclear Energy . | 15 |
| Overview of DOE R&D Efforts Related to a Clay-Based Repository and Clay-Based Engineered Barriers Dr. Chris Camphouse, Sandia National Laboratories | 18 |
| Modeling of the Long-Term Integrity of the Argillite Host Rock Barrier Dr. Jonny Rutqvist, Lawrence Berkeley National Laboratory. | 66 |
| Overview of Engineered Barrier System Function and Design in an Argillite Host Rock Dr. Ed Matteo, Sandia National Laboratories. . . | .134 |
| A Review of High Temperature Engineered Barrier Systems Experiments Part 1 - Dr. Carlos Jove-Colon, Sandia National Laboratories | .178 |
| Part 2 - Dr. Florie Caporuscio, Los Alamos National Laboratory. | .194 |
| Public Comments. | .221 |
| Adjournment Day 1. | .230 |

1 P R O C E E D I N G S

2 B A H R : Hello, and welcome to the U.S. Nuclear
3 Waste Technical Review Board's Summer Meeting.

4 I'm Jean Bahr, Chair of the Board, and this
5 meeting will focus on the U.S. Department of Energy's
6 research and development activities related to
7 geological disposal of spent nuclear fuel and high-
8 level radioactive waste in clay-bearing host rocks, and
9 also the research and development on clay-based
10 engineered barriers.

11 As we transition from the COVID-19 pandemic,
12 we're holding this meeting in a hybrid format with the
13 combination of both in-person and virtual attendance by
14 Board members and presenters. And while masks are not
15 required, we do have a supply of them available, and
16 you're welcome to take one if you'd like to wear a mask
17 if you're here in the meeting room.

18 I am going to introduce the Board members and
19 then briefly describe the Board and outline what we do.
20 And then I'll tell you why we're holding this meeting
21 and try to summarize the meeting's agenda. I'll ask
22 that as I introduce some of those Board members who are

1 present here raise their hands so that they can be
2 identified. And we also have two Board members who are
3 participating in the meeting remotely, and I'll ask
4 that they unmute their device to come online and say
5 hello when I introduce them.

6 First of all I'm Jean Bahr, the Board Chair.
7 And all the Board members serve part time, and we all
8 hold other positions. In my case, I'm Professor
9 Emirate of Hydrogeology at the University of Wisconsin,
10 Madison.

11 Our first two Board members are going to be
12 joining us remotely. First is Steven Becker. Steve is
13 Professor and Chair of Community and Environmental
14 Health in the College of Health Sciences at Old
15 Dominion University in Virginia. And I assume that
16 Steve is online, raising his hand or saying, "Hi."

17 Then we have Mr. Allen Croff. Allen's a
18 Nuclear Engineer Adjunct Professor in the Department of
19 Civil and Environmental Engineering at Vanderbilt
20 University.

21 Present in the room is Dr. Tissa
22 Illangasekare. Tissa is the AMAX-endowed Distinguished

1 Chair of Civil and Environmental Engineering and the
2 Director of the Center for the Experimental Study of
3 Subsurface Environmental Processes at Colorado School
4 of Mines.

5 Next is Dr. Lee Peddicord. And Lee is
6 Professor of Nuclear Engineering at Texas A&M
7 University.

8 Dr. Paul Turinsky has been experiencing some
9 plane delays, but we expect him to show up a little bit
10 later this afternoon. He's the Board's Deputy Chair
11 and is a Professor Emeritus of Nuclear Engineering at
12 North Carolina State University.

13 So I've introduced 5 Board members, plus
14 myself, not the full complement of 11. Our other Board
15 positions are currently vacant, but we hope that will
16 change in the not-too-distant future.

17 As I usually do at Board meetings, I want to
18 make clear that the views expressed by the Board
19 members during the meeting are their own and not
20 necessarily Board positions. Our official positions
21 can be found in our reports and letters which are
22 available on the Board's website.

1 So now, onto a description of the Board and
2 what we do. As many of you know, the Board is an
3 independent federal agency in the Executive Branch;
4 it's not part of the Department of Energy or any other
5 federal department or agency. The Board was created in
6 the 1987 amendments to the Nuclear Waste Policy Act to
7 perform objective, on-going evaluation of the technical
8 and scientific validity of DOE activities related to
9 the management and disposal of spent nuclear fuel and
10 high-level radioactive waste.

11 The Board members are appointed by the
12 President from a list of nominees submitted by the
13 National Academy of Sciences. We're mandated by
14 statute to report Board findings, conclusions, and
15 recommendations both to Congress and the Secretary of
16 Energy.

17 The Board provides objective technical and
18 scientific information on a wide range of issues
19 related to the management and disposal of spent nuclear
20 fuel and high-level radioactive waste that we hope will
21 be useful to policymakers in Congress and the
22 Administration.

1 All of this information can be found on the
2 Board's website: www.nwtrb.gov and that ... and also
3 includes Board correspondence, reports, testimony,
4 meeting materials, archived webcasts of our recent
5 meetings.

6 If you'd like to know more about the Board,
7 there's a two-page document summarizing the Board's
8 mission and presenting a list of the Board members, and
9 that can be found on the Board's website. And we have
10 some hard copies of that on the document table outside
11 the meeting today, along with some of our recent
12 reports.

13 The meeting agenda and presentations have been
14 posted on the Board's website and those are available
15 for downloading. We'll have a public comment period at
16 the end of each day's meeting. And those attending the
17 meeting in person and wanting to provide oral comments
18 are encouraged to sign the public comment register at
19 the check-in desk near the entrance to the meeting
20 room. Oral comments will be taken in the order in
21 which they're signed in. When making a comment during
22 the public comment period, please use the microphone

1 that's available in front of the seating area. And
2 please state your name and affiliation so that you'll
3 be identified correctly in the meeting transcript.

4 I want to remind DOE staff and National
5 Laboratory participants in the room that they should
6 also use the microphone and identify themselves if
7 they're called upon in the meeting to respond to a
8 Board question.

9 All public comments can also be submitted
10 during the meeting via the outlying meeting viewing
11 platform. There should be a "Comment for the Record"
12 form that you can access. If you're viewing the
13 presentation in the full-screen mode, you can access
14 the Comment for the Record section by pressing the
15 escape key.

16 I'd like to note that this time for comments
17 is intended for comments to be included as part of our
18 official record, not a question-and-answer period or a
19 question that might require a response. If you do have
20 a question for any of the presenters and we're not able
21 to get to questions during the meeting time, I'd
22 encourage you to contact the presenters directly

1 yourself.

2 A reminder of how to submit comments will be
3 displayed during the break and comments we receive
4 online during the meeting will be read by Staff Member
5 Bret Leslie after the attendees' public comments, and
6 those will be in the order that they're received.

7 Time for each public comment may be limited
8 depending on the number of comments we receive, but the
9 entirety of submitted comments will be included as part
10 of the meeting record. Comments and any other written
11 materials may also be submitted later by mail or email
12 to the points of contact that are noted in the press
13 release for this meeting and that's posted on our
14 website. These will also become part of the meeting
15 record and would be posted on the Board's website,
16 along with the transcript of the meeting and the
17 presentations you'll see today.

18 This workshop is being webcast live and is
19 being recorded, so you'll see some cameras around the
20 room. Depending on where you're sitting, you might be
21 part of the webcast in the recording. The archived
22 recording will be available on the Board's website by

1 September 21, 2022, and the transcript will be
2 available by November 14, 2022.

3 So why did we organize this particular
4 meeting? Well this meeting is part of the Board's
5 continuing review of DOE activities related to the
6 management and disposal of spent nuclear fuel and high-
7 level radioactive waste. Over the past several years,
8 DOE has been conducting research and development
9 efforts on non-site-specific disposal of radioactive
10 waste. According to DOE, the objectives of these
11 activities is to develop a sound technical basis for
12 multiple geological disposal options in the United
13 States and to provide necessary data and analyses to
14 support decisions regarding its disposal research
15 program. The multiple disposal options being
16 investigated include: clay-based, which are also
17 called argillaceous host rocks, as well as clay-based
18 engineered barriers, and those are the topics of this
19 meeting.

20 We're going to focus on laboratory and field-
21 scale studies that are being used to support
22 development of numerical models that represent the

1 complex processes in a clay-based host rock and
2 engineered barrier.

3 Our review will focus on DOE's understanding
4 of the processes that impact barrier capability of
5 clay-based host rocks and engineered barriers, and
6 representation of these processes in DOE's numerical
7 model is used to support the development of reference
8 cases for repository performance analysis.

9 Today's meeting will start with opening
10 statements by Bill Boyle from the DOE Office of Nuclear
11 Energy, and then we'll hear from National Laboratory
12 researchers who are conducting the work for DOE.

13 Chris Camphouse will give an overview of
14 research and development activities related to clay-
15 based repository and clay-based engineered barriers,
16 including the objectives, research priorities and
17 recent accomplishments.

18 Then we'll hear about the details of the
19 numerical models developed to assess long-term
20 integrity of clay-based host rock.

21 After a 15-minute break, starting at 2:30,
22 Eastern Time, Ed Matteo will give an overview of the

1 function and design aspects of the engineered barrier
2 system in a clay-based host rock.

3 This will be followed by a presentation on
4 experimental studies that focus on coupled processes
5 that impact the barrier capability of bentonite, which
6 is used in the engineered barrier system at high
7 temperatures. Carlos Jove-Colon will present the first
8 part of that, followed by Florie Caporuscio.

9 Then as I mentioned earlier, we'll have a
10 public comment period and we will adjourn Day 1 of the
11 meeting about 5 p.m., Eastern Time.

12 We'll resume our meeting tomorrow at noon,
13 Eastern Time, starting with a presentation by Maria
14 Victoria Villar from the Center for Energy,
15 Environmental and Technological Research in Spain.
16 She'll describe some of the laboratory and modeling
17 studies that focus on understanding coupled processes
18 in clay-based barriers.

19 Then Chris Neuzil will present some of the
20 technical challenges in characterizing clay formations
21 and identify some key technical gaps that need to be
22 addressed to better understand clay behavior at the

1 repository scale.

2 After a 20-minute break, starting at 2:05 p.m.
3 tomorrow, LianGe Zheng will provide details regarding
4 laboratory experiments, field tests and numerical
5 modeling that focus on understanding coupled processes
6 in bentonite buffers at high temperatures.

7 The last presentation of the meeting by Tara
8 LaForce will describe how models related to clay-based
9 ... clay-bearing host rocks and engineered barriers are
10 integrated into the geologic disposal safety assessment
11 framework that's going to be used for performance
12 assessment.

13 A lot of effort went into planning this
14 meeting and arranging the presentations. As noted in
15 our press release, we're planning on having a ... we
16 were planning on having a speaker from Switzerland. He
17 was unable to join us because of the activities related
18 to site selection of a repository in Switzerland.

19 So I want to thank our speakers for making
20 presentations at the meeting today and especially those
21 who participated in a Board fact-finding meeting that
22 was held at Sandia National Laboratories on July 19th

1 of this year. The fact-finding meeting presentations
2 will also be available on the Board website.

3 Thanks to Board Members Tissa Illangasekare,
4 who is my co-lead of ... on the Board for this meeting,
5 and to the Board Staff, particularly Chandrika
6 Manepally, Bobby Pabalan and Jo Jo Lee for putting the
7 meeting together.

8 I'd like to acknowledge Sam Brinton, the
9 Deputy Assistant Secretary for Spent Fuel and Waste
10 Disposition, who is joining us for part of the meeting
11 today in ... as part of their busy schedule.

12 So now, if you'll please mute your cell
13 phones, let's begin with what I'm sure will be an
14 interesting and productive meeting, and it's my
15 pleasure to turn the podium over to William Boyle
16 who'll get the meeting started.

17 BOYLE: Thank you, Dr. Bahr. So I just want
18 to provide some opening remarks for these next two
19 days. In the preparations leading up to today and
20 tomorrow, there was a request from Board staff that
21 could we be more consistent or ... in our use of
22 terminology, which, just a casual glance at the titles

1 of the talks shows we're anything but. We use clay-
2 based, argillite, argillaceous. Carlos and Florie are
3 probably the smartest. They have avoided naming any
4 material; they just talk about high temperatures. So
5 we didn't originate this issue, if you will, it goes
6 back a long ways in geology, and I'll show you, by
7 example, the word "clay." What does clay mean? Well
8 one meaning of clay is it's a type ... a family of
9 minerals, just like pyroxenes are or amphiboles or
10 feldspars. Kaolinite and illite are two clays in the
11 family of minerals called clays. So it's in part based
12 upon ... to be a clay by that definition, it has to
13 have a specific composition and structure.

14 There is a second definition of clay that
15 actually has nothing whatsoever to do with composition
16 and structure, and it's one that earth scientists and
17 earth engineers use all the time. When the ... in
18 plain English meaning, everybody knows what sand and
19 gravel is. But scientists and engineers are much more
20 specific about it, you know, they ... it ranges from
21 boulders and cobbles with big pieces. Sand, silt, and
22 the finest materials are called clay. No matter what

1 their composition is, as long as it passes that last
2 sieve, it's a clay, even if it's actually calcite or
3 silica, right, it doesn't matter, it's a clay.

4 There's a third definition of clay. At least
5 a third. And that's like the boom clay, it's a
6 formation name. No matter what's in it, it's probably
7 got clay in it, it's probably got silica and calcite
8 and other things in it as well.

9 And so geologists and earth engineers have
10 been doing this for a long time, it's usually clear
11 from the context what people are talking about. And if
12 it's not clear in any of the presentations, please do
13 ask, we'll try and make it clear.

14 So I think that's pretty much the opening
15 remarks, it's ... we'll try to be as clear as we can.
16 If there's any confusion what we're talking about, just
17 ask. Any questions of me?

18 BAHR: Are there any questions for Bill from
19 the virtual participants? Any questions from Board
20 members? Okay.

21 Well thanks, Bill, for a concise, opening
22 statement.

1 And I think we'll just ... I'll sit here to
2 announce the next speaker who's going to be Chris
3 Camphouse. And Chris is going to provide us with an
4 overview of the DOE Research and Development Efforts
5 Related to clay-based repositories and clay-based
6 engineered barriers, so ...

7 CAMPHOUSE: Okay. Thanks, Jean.

8 I went one too far. I'm Chris Camphouse. I'm
9 happy to be here today in person to talk about the DOE
10 program that Bill just talked about for clay-based
11 repository and clay-based engineered barriers. I want
12 to give a bit of a little preamble to say that this
13 presentation's main focus and goal is to kind of whet
14 your appetite for the more in-depth technical
15 presentations that'll be coming later, just to give you
16 a broad umbrella of how the different work packages fit
17 together and what's under each one.

18 Here's the outline that we will ... of the
19 different areas that we'll talk about today. So the
20 argillite and engineered barrier system R&D control
21 accounts; the different packages of work in this
22 program are under-funded efforts called control

1 accounts. I'll talk about those a little bit. Each
2 one has a very significant international piece, so
3 we'll spend a little time talking about international
4 collaborations. And then we'll get into the meat of
5 our multi-lab disposal R&D activities for argillite and
6 engineered barrier system R&D crosscuts. Our
7 activities are described in a five-year plan, so I'll
8 discuss that, and then any conclusions at the end.

9 Okay. So to muddy the waters up a little
10 more, no pun intended, from what Bill said, why do we
11 care? You know, why are we looking at argillite at
12 all? If this is the first time you've seen this, there
13 are a lot of countries looking at argillite host rock
14 for a geologic disposal repository. Why are they
15 interested in argillite? Argillite has some very nice
16 physical properties, it can be low ... have a low
17 permeability so that materials that are solubilized
18 have a hard time getting through that host rock. If it
19 does get through, it takes a really long time to get
20 anywhere.

21 Same with the diffusion coefficient, has a
22 similar impact there. If any solubilized radionuclides

1 do get into the rock, it tends to stick there. There's
2 a high retention capacity and it's self-sealing. So if
3 a repository is being activated and there's drifts and
4 rooms that are being opened up and that the surrounding
5 host rock is damaged, over time, argillite can self-
6 heal. So you'll ... material that you put in this type
7 of rock will tend to stay there, things that dissolve
8 tend to not get anywhere, so argillite in those ...
9 those characterizations, and that has some nice
10 characteristics, so that's why a lot of countries and
11 the U.S. are looking at it.

12 So to summarize there, these properties
13 comprise an attractive natural barrier for geologic
14 disposal.

15 So here's the way the control accounts under
16 argillite host rock and engineered barriers are
17 assembled. There's one big piece of work for
18 argillite, there's another big piece of work for
19 engineered barriers, and supporting both of those are
20 international collaborations.

21 If we look on the left on this slide, the
22 argillite and EBS R&D work packages are looking at

1 fundamental science. One primary reason, and we'll see
2 more about this later in my presentation, as well as
3 presentations that come later, why we leverage
4 international collaborations is because there are some
5 very nice underground research labs in other countries
6 that the DOE can use to further their program.

7 So we take these three things together, they
8 feed the process model in parameter developments that
9 are ultimately fed into the geologic disposal safety
10 assessment.

11 So here are the way the disposal research
12 control accounts are lined up. There are four,
13 they're, well, kind of engineered barrier systems.
14 Three of the host rock, and then an engineered barrier
15 system work package that supports the three host rocks
16 areas. And then international collaborations control
17 account that we'll talk about as well, because we need
18 to, because we have international work that supports
19 each of those R&D work packages.

20 If you look more in-depth at those control
21 accounts, there is argillite on the left, engineered
22 barrier on the right. And you see for each ... for

1 example, look at argillite. For argillite disposal R&D
2 that Los Alamos leads, there's also an international
3 piece. You look at the piece that Lawrence Berkeley
4 leads, there's also an international piece. As you go
5 down this list, for each one of the labs' work
6 packages, there's an international piece that
7 complements it. And the same with engineered barriers.

8 So the point from this slide is to emphasize
9 that for the work the DOE is doing on argillite,
10 international collaborations are very important.
11 There's a very cohesive team of multi-laboratory
12 contributors to these work packages. And the funding
13 for the international piece isn't just a little tiny
14 piece, it's on the same order of what's in the lab R&D
15 packages for each specific activity. Because
16 international collaborations are so important, let's
17 talk about international collaborations for a minute.
18 Why would we ... I've sort of already answered some of
19 this ... but why would we want to look at international
20 collaborations as we develop our argillite and
21 engineered barrier research activities? There's a lot
22 of global activity where they are looking at similar

1 R&D as what we are doing in the DOE program. So this
2 helps us stay abreast of science advances and gain
3 access to international datasets and experiments. And
4 that last piece is really important.

5 I think, as I said, there are multiple
6 underground research labs that we get to participate
7 in. We get to look at their data, use it to validate
8 models, use it to validate parameters. So we get to
9 bring the international work experience and lessons
10 learned into our program, into the DOE program, and
11 push it forward.

12 There are a lot of similar needs in
13 international programs as there are in the U.S. So we
14 get to understand the research needs arising from
15 critical (and sometimes surprising) issues related to
16 "real" host rock sites.

17 Other benefits. A real nice benefit of this
18 is that it helps build the next generation of workers.
19 They get to go and see. A lot of times disposal
20 research is sort of academic until you're walking in an
21 underground research lab, and you see that host rock
22 around you, or you see a big mock-up of an engineered

1 barrier, and it becomes very real and then that gives a
2 lot of motivation for why students would want to get
3 involved in this. And we're seeing some good progress
4 there. I'll talk more about that a little bit later.

5 And prioritization; it helps us prioritize
6 which international activities we want to be involved
7 in, which ones are looking at key aspects similar to
8 what the DOE is, how we can leverage those activities
9 and progress.

10 So as I mentioned, the disposal research
11 activities are scoped out in a five-year plan;
12 international collaboration is no different. The plan
13 is broken up into near-term activities and far-term
14 activities. Near-term means one to two years; far-term
15 means further out than that, out to five years.

16 What are the near-term thrust areas that we
17 want to look at for international? Continued
18 participation with international R&D in underground
19 research labs, that's very important. We're pursuing a
20 more active role in conducting the experimental work in
21 those labs and leading it. And we'll see more about
22 that when we talk about some of the specific

1 international things that we're involved in.

2 And contribute to building confidence for the
3 geologic disposal system analysis and look at the
4 international experience and lessons learned for
5 pushing forward different processes like gas transport,
6 diffusion, sealing elements, in situ corrosion.

7 What are the longer-term thrust topics? We
8 want to utilize international activities, as I
9 mentioned a minute ago, for workforce development in
10 disposal science. Like I said, if you go into a ...
11 an actual physical drift and see that host rock or an
12 engineered barrier mock-up, that's very motivating, and
13 it will help with eventually the best site for site
14 selection and characterization.

15 So DECOVALEX. DECOVALEX is really one of the,
16 the gemstones of the international program that
17 supports argillite and engineered barrier systems and
18 the disposal research control account even more
19 generally.

20 So what happens in DECOVALEX? It model
21 comparison against experiments. So teams from
22 different nations that participate in this compare

1 their models, compare their process. [It] models
2 parameterizations and their numerical codes, data from
3 different underground research labs are provided, and
4 then these teams can use that data to see how ... how
5 well their models captures the data from a real URL,
6 underground research lab. There's a broad range of
7 challenges that everyone works on and coordinates
8 results and presents their findings. There's in-depth
9 and regular discussion among national agencies and
10 research teams.

11 So you see here ... it may be hard to see, but
12 for example, for one underground research lab in Mont
13 Terri in Switzerland, you see the countries involved on
14 the bottom there: Germany, China, the U.S.,
15 Switzerland, France, Japan, South Korea and the U.S.A.
16 So they're very multinational activities that are very,
17 very good.

18 And there's an excellent publication record.
19 Ph.D. students are trained as part of DECOVALEX and a
20 successful long-term platform of information and
21 knowledge exchange.

22 So going into a little bit more detail on

1 DECOVALEX for THM. What does THM mean? It's thermal-
2 hydrological-mechanical. So, heat, water flow through
3 the host rock, and then geomechanics, essentially, and
4 how those processes are coupled.

5 So the last phase of DECOVALEX ended in 2019.
6 What were the big activities and what were the results
7 from there? Upscaling methods for THM processes were
8 upscaled at ... using clay host rock at the Bure URL
9 in France. And we ... they started with small-scale
10 borehole heater tests, then expanded to a micro-tunnel
11 heater test and then to an entire waste repository that
12 was based on the French design. Andra led the five
13 modeling teams from five different countries. The U.S.
14 DOE was part of that team. The comparison between
15 these modeling teams provide a confidence that
16 upscaling methods for THM repository predictions are
17 tractable and robust.

18 So from 2019 when we finished up that ...
19 those DECOVALEX activities, then DECOVALEX was extended
20 to 2023, with a goal of essentially taking what was at
21 the end of 2019 and moving it forward with a full-scale
22 experiment. So the experiments that are part of

1 DECOVALEX 2023 are THM modeling of the full-scale and
2 placement experiment in Opalinus Clay at Mont Terri,
3 and as well as a full-scale engineered barrier system
4 experiment at Horonobe in Hokkaido, Northern Japan.

5 So moving away from international activities
6 into the more lab-focused R&D program that are
7 described in the five-year plan. For argillite,
8 priority is given to engagements in the international
9 activities, so DECOVALEX and HotBENT. We'll hear more
10 about HotBENT in LianGe's presentation later, and
11 others. Integration, experimental and modeling
12 activities of barrier materials, interactions at higher
13 temperatures for generic disposal concepts in
14 argillite, and the use of novel approaches to evaluate
15 barrier material, dynamic behavior and stability under
16 repository conditions. So that's where the priorities
17 are.

18 What are the near-term thrusts in the one-to-
19 two-year period? We want to keep looking at the
20 coupled thermal, hydrologic, mechanical and chemical
21 processes that can affect repository performance. The
22 way those are coupled makes that a difficult and

1 challenging activity. We want to develop multi-
2 fidelity approaches for integration of process models
3 into the GDSA framework.

4 What are the longer-term thrusts for
5 argillite? We want to simplify those coupled THMC
6 process representations and continue to emphasize
7 international collaborations with an emphasis on field
8 testing and process understanding.

9 What activities are we involved in now for
10 argillite? There's a big list of them here. I don't
11 know that I need to go through all of them. Barrier
12 material interactions at high temperature, PFLOTRAN,
13 which is a very nice open-source flow and transport
14 code that we use to model and implement these process
15 models in. We want to model the long-term integrity of
16 the argillite host rock barrier. We're also looking at
17 machine-learning approaches and thermodynamic database
18 development. Molecular dynamics simulations of water
19 transport phenomena in smectite. Integrating coupled
20 THC processes for radionuclide transported to GDSA, and
21 then HotBENT, which is a very neat experiment that
22 we'll hear more about later.

1 And as I said, here you see the way those
2 activities are spread out across the control account,
3 there's a piece for four of the national labs. So Los
4 Alamos, Lawrence Berkeley, Lawrence Livermore and
5 Sandia. And for each piece there's also the ... an
6 international component that we've talked about.

7 What accomplishments have we done? So each
8 year there's what's called a level 2 milestone report,
9 that is produced as part of the argillite scope of
10 work. This is a big, substantial document, typically
11 hundreds of pages long, where a lot of the ... well I
12 would say essentially all of the activities and results
13 for the given year can be found in there.

14 And there's the cover of the title page there.
15 You'll hear from people on this title page later in the
16 meeting. For example, Carlos Jove-Colon is there,
17 Florie Caporuscio is there and Jonny Rutqvist. So
18 almost all the folks you'll hear from later have
19 fingerprints on this report. It's talking about some
20 of the accomplishments, specifically, developing a
21 comprehensive suite of experiments focused on
22 hydrothermal interactions of bentonite clay, steel

1 materials and argillaceous wall rock.

2 Integration of characterization studies with
3 thermodynamic modeling, including engineered barrier
4 solids and host rock material.

5 Simulations of bentonite swelling and model
6 development to look at the way the excavated damage
7 zone, when there's a room or a drift that's been
8 excavated, how that permeability changes after that.

9 And then thermo-hydrologic and chemical
10 modeling of bentonite barrier fluid interactions with
11 PFLOTRAN, the code I mentioned a minute ago.

12 And then thermodynamic database development
13 that contains parameters for properties of aqueous,
14 solids ... aqueous, solids, and gas species.

15 Okay. So I've uncovered argillite. Now we'll
16 move into the engineered barrier system work package
17 control account and the way it crosscuts with
18 argillite. The activities for engineered barriers are
19 also contained in the five-year plan. Priority is
20 given to HotBENT Field Test and supporting
21 complementary activities.

22 International activities that I talked about

1 for DECOVALEX 2023 is a thermal hydrologic and
2 mechanical modeling of validation activities using data
3 from the ... the Swiss Mont Terri full-scale heater
4 test experiment. And integration between hydrothermal
5 experimental methods and cement-host media studies.

6 So that's the priority of activities in the
7 engineered barrier system 5-year plan. The near-term
8 thrust in the next 1- to 2-years, are analysis of
9 thermal, mechanical, and chemical processes that
10 influence performance of EBS design for each host
11 media, and then understanding bentonite buffer drying
12 and re-saturation processes. So those are the two
13 things that we're looking at near term.

14 More further out, 3- to 5-years, we want to
15 continue in our involvement in international
16 collaboration on underground research lab studies for
17 engineered barrier system performance and design
18 materials, particularly cement.

19 Here's the way engineered barrier crosscuts
20 with argillite: Fundamental process understanding, so
21 shaft seal development and integrity. Degradation
22 evolution, especially the way the permeability may

1 change, depending on if that ... if it's in an
2 excavated damage zone or not. Engineered materials and
3 the disturbed rock zone, which is the same thing as
4 excavated damage zone, it's just a different acronym
5 that means the same thing.

6 Waste package materials and backfill/buffer.
7 And there are lots of ... several processes that we're
8 looking at to representing and understanding better
9 chemo-mechanics of chemical and geomechanics, how those
10 coupled process are represented, and THMC, that's the
11 really the Holy Grail of what we want to get that was
12 four processes coupled: it's a very hard problem, but
13 we're making progress on it.

14 Multi-phase flow, multi-scale phenomenon. And
15 as we saw for argillite, here when you look at that
16 control account for engineered barrier, you see there's
17 a piece for each of the three labs: so Los Alamos has
18 a piece, Lawrence Berkeley has a piece, Sandia has a
19 piece. It's a very cohesive team, and for each piece
20 of work there's a corresponding international piece
21 that the same lab is involved in. So Alamos has a
22 piece; Berkeley has a piece and Sandia has a piece.

1 So the highlights of the EBS R&D
2 accomplishments, we have model development for thermal,
3 hydrologic and mechanical of the full-scale emplacement
4 heater test at Mont Terri; extension of clay swelling
5 thermodynamic modeling to higher electrolyte
6 concentrations; reactive molecular simulations for
7 modeling of bentonite radionuclide retention; and THMC
8 evolution of bentonite via analysis of large-scale
9 field experiments.

10 Now as I mentioned for the argillite control
11 account, for engineered barriers there's also a big
12 level two milestone that's produced every year. Here's
13 the title page from it, it's also typically hundreds of
14 pages long, and has many of the speakers that you'll
15 hear from in this meeting are on the title page of that
16 report. Ed Matteo, for example; Florie Caporuscio, who
17 we'll hear from later; LianGe's on there. So we have
18 representatives from all ... essentially all the labs
19 that contributed to this report, there's someone here
20 to help talk about what's in there.

21 And not only are we doing lab work and
22 international collaborations, we also have a

1 significant outreach to university partners which is
2 contained under the Nuclear Energy University Program,
3 NEUP. And since I made this slide not very long ago, a
4 week or two ago, this is even outdated a little bit.
5 There's been two more awards that we're getting ready
6 to make for activities related to argillite and
7 engineered barrier system.

8 But since 2020 there's been 14 NEUP Awards to
9 teams investigating disposal aspects significant to
10 argillite and engineered barriers. Doing a lot of
11 fundamental research and development, backfill material
12 advancements, high temperature effects, which is very
13 important for what ... it feeds into a lot of things at
14 the labs and the international partners are looking at.
15 Database development and engineered barrier material.

16 So there you see the different logos from the
17 universities. They really span across the country. We
18 have a lot of good, a lot of good participants in that
19 program. And I should, before I move from this slide,
20 so each award that is made to NEUP, there's a person on
21 the DOE side that serves as a technical point of
22 contact for that, for that NEUP activity.

1 So for each one of these NEUP Awards, there's
2 a lab, either from Berkeley, Sandia, Los Alamos or
3 Livermore that serves as a technical point of contact
4 to advise that work as it moves forward.

5 So conclusions, the argillite R&D activities
6 are extensive in scale, everything from bench lab work,
7 and we'll see some of that coming up later today, to
8 underground research lab field testing. We'll also
9 hear some more about that.

10 Collaborations are very extensive, everything
11 from along the labs themselves to universities, to
12 international partners.

13 The engineered barrier system R&D is very
14 complementary to the R&D...done in the argillite
15 control account, it's done to develop a technical
16 understanding of the barrier argillite host rock
17 system.

18 As I said in the ... one of the earlier
19 slides, it's sort of motivating how, how the goal of
20 this work is to eventually feed into the geologic
21 disposal safety assessment representations. The work
22 done in these work packages provides the technical

1 underpinnings for that.

2 And our in-depth milestone reports that
3 contain detailed summaries of the R&D activities and
4 results.

5 Here's a handful of references. And that's my
6 last slide. Thank you.

7 BAHR: Thank you, Chris. We're well ahead of
8 time, so we have plenty of time for questions. And do
9 we have someone from online?

10 Steve Becker, who's online, so we'll get Steve
11 to unmute himself and ask his question.

12 BECKER: This is Steven Becker, NWTRB Board
13 Member. Thank you, Chris, for a very interesting
14 presentation. Your discussion of international
15 collaborations was very useful, and it called attention
16 to a lot of important work. You noted the role of
17 underground research labs in helping to attract a new
18 generation of waste disposal scientists.

19 CAMPHOUSE: Mm-hmm.

20 BECKER: I was wondering, is there any work
21 going on that explores the role of URLs and other
22 research facilities in community outreach and public

1 information? And along those lines you mentioned, at
2 least briefly, that work was taking place toward
3 developing a common set of best practices and lessons
4 learned, vis-a-vis, risk communication, and could you
5 tell us just a bit more about that effort as well?

6 CAMPHOUSE: Yeah. So one part that I meant to
7 mention and different ... and didn't mention is that
8 this year there's a new, kind of a pilot program for,
9 for loss of a better word, that's ... that is actually
10 focused on work force development for geologic
11 disposal. There are two labs that have a work package
12 related to that: one is Sandia, the other is Lawrence
13 Berkeley. And the goal for that work package is to
14 bring in, for example, undergraduate student interns
15 that are interested in geologic disposal, but maybe
16 don't know a lot about it, get them involved with lab
17 personnel that do. So there are a handful of interns
18 at Sandia, there's a handful of interns at Lawrence
19 Berkeley. And we brought on the last summer, and have
20 extended, I would say the majority of them, to year-
21 round interns. So we're really bringing those in to
22 participate with the lab staff and really get them

1 involved in these activities.

2 There's also a post-doc that's been brought on
3 at Lawrence Berkeley and we're still working on getting
4 the post-doc brought on at Sandia. And we're ... well
5 the plan is we're going to continue this program for
6 workforce developments and expand it in the coming
7 year.

8 So it's a really nice way, you know, there's
9 not ... there's not an easy way for undergraduate
10 interns and graduate interns to really get involved in
11 geologic disposal science, and this is a good way to
12 bring them into the labs, let them learn hands-on.

13 And the way that feeds into the underground
14 research lab, what ... part of the question that you
15 had, we are getting them more involved. That part of
16 the program is still in its early stages. We want to
17 start having a seminar ... a series of seminars that
18 the students will be able to attend, the post-docs will
19 be able to attend from these different things, but
20 that's still sort of young.

21 Did that answer your question or did I ... do
22 you have any follow-on questions?

1 BAHR: Steve?

2 BECKER: I ... yes?

3 BAHR: Steve, go ahead. You have a follow-on
4 question?

5 BECKER: Yes. Can you hear me?

6 CAMPHOUSE: Mm-hmm.

7 BAHR: Yes. Go ahead, Steve.

8 BECKER: So yes, Chris, I would say that it
9 was very useful to hear more about the role of ... the
10 developing role of URLs and attracting that next
11 generation of waste disposal scientists. What I was
12 wondering is, is any thought being given to exploring
13 the role of URLs and other research facilities in
14 community outreach and in public information?

15 CAMPHOUSE: Yeah, I may pass that one on to
16 Dr. Sassani. He's approaching the mic right now, I
17 think.

18 BAHR: I think we have Dave Sassani ...

19 SASSANI: Yes.

20 BAHR: ... to answer that.

21 SASSANI: Dave Sassani, Sandia National
22 Laboratories. Steve, good question. We have ... in

1 leveraging the international work for the URLs, we have
2 the efficiency in that in terms of the R&D value. In
3 addition to that, in ... we have a ... an interesting
4 underground system at WIPP, which we've been accessing
5 for the Brine Availability Test in salt, and doing an
6 underground research project there as part of the SFWST
7 Campaign. And that is also being used by the
8 international community, in particular, as one of the
9 DECOVALEX programs now.

10 We have also been thinking about other
11 possible sub-surface testing in unsaturated media that
12 could be done to utilize facilities underground but
13 haven't actually sited that at any location. Part of
14 the discussion we're having in planning involves the
15 very large expense of starting a new underground
16 research laboratory versus taking advantage of existing
17 facilities.

18 So that's in discussion currently. And I'm
19 thinking that over the next year we'll probably move
20 forward with a couple of aspects of that into at least
21 the planning stages for the following fiscal year, but
22 that's ... we are looking at those sorts of aspects.

1 BAHR: Dave, this is Jean. I think what Steve
2 was asking about was not engaging with the scientific
3 community but engaging with the broader public in terms
4 of ... and this gets to perhaps the efforts that are
5 going on in terms of consent-based siting for storage.
6 But when you think about consent-based siting for a
7 repository, the URLs have been, in internationally and
8 other countries, have been a tremendous asset in some
9 of those activities. Is there any current activity by
10 DOE related to public engagement through the URLs?

11 SASSANI: Yes. Thank you, Jean, that is a
12 good clarification. And I will say we have some
13 discussions of that. We don't have anything ongoing in
14 the R&D side of the house on that yet, but I will hand
15 that over to my DOE counterparts to talk further about
16 some of those aspects.

17 BECKER: Thanks, Dave.

18 BAHR: Is there anyone from DOE who wants ...
19 it looks like Bill Boyle is coming to the microphone.

20 BOYLE: Yeah. William Boyle, DOE. I don't
21 think the mic's on though. With respect to your
22 clarification, Jean, I'll focus in on my experience

1 with Yucca Mountain, which did have a very active
2 program for letting people, even the public, go take
3 tours of Yucca Mountain. And I think every country
4 that has an underground research lab experiences the
5 same thing. They get a lot of visitors at their URLs,
6 both from the people Dave was talking about, the
7 technical people, but also local people that live in
8 the community and just get interested, and people from
9 all over the world.

10 So I think that's a well-known phenomenon. If
11 you build it, they will come. I can tell you that
12 right now. And so even setting aside an explicit
13 effort on consent-based siting, if you have a URL, it
14 will act as this draw for people that want to see it,
15 including the local community.

16 But more specifically, in a couple months, the
17 Government of Japan and the Nuclear Energy Agency are
18 going to have a workshop on the utilization of URLs in
19 this joint fashion. For the people Dave was talking
20 about, and for the purpose you clarified about. They
21 want ... Japan and the NEA want to learn from the other
22 countries that have had underground research labs. So

1 I hope that helps.

2 BAHR: Steve, do you have a follow-on from
3 that?

4 BECKER: I think that got a good discussion
5 going and I think maybe we can allow others to ask
6 their questions. I think we certainly started the
7 discussion of URLs and public information and community
8 outreach. So thanks everybody.

9 BAHR: Do we have another question? I'll ...
10 so Dr. Peddicord from the Board has a question.

11 PEDDICORD: Yes. Lee Peddicord. Thank you
12 very much. Great introduction. Great discussion. I
13 wanted to go kind of all the way back to one of your
14 earlier slides where you're talking about some of the
15 attributes of the material, and particularly that of it
16 being self-sealing, which I think is very attractive.

17 And the question comes to my mind ... and of
18 course Dr. Boyle pointed out there's a variety of these
19 materials, there's a continuum. But in terms of a
20 nominal or effective lifetimes for a repository to
21 self-seal, if you will, what are those in terms of
22 years, decades and so on, and how does that compare to

1 other media like salt, which is very attractive as a
2 self-sealing material as well, too?

3 CAMPHOUSE: Okay. I may pass that to ...

4 Do you want to take that, Carlos?

5 So I know for salt, the salt case I've been
6 involved in pretty extensively, and they're looking at,
7 for example, on the Waste Isolation Pilot Plant, when
8 there's a damaged rock zone, they're looking at healing
9 within 100, 200 years. Argillite, I think, is about
10 the same time schedule.

11 JOVE-COLON: I'm happy to ...

12 CAMPHOUSE: Yeah.

13 JOVE-COLON: All right. In regards to the
14 self-sealing properties ...

15 BAHR: Can you identify yourself first?

16 Thanks.

17 JOVE-COLON: I'm sorry. Carlos Jove-Colon,
18 Sandia National Labs. And with regards to the self-
19 sealing properties, yes, it's something that is
20 observed. Clay, for each rock, et cetera. Your
21 question, I think, is more specific in terms of the
22 order around time scales within tens, hundreds,

1 thousands of years. We can see ... I mean, there are
2 actually experiments at an URL, and I have to defer
3 that to Jonny Rutqvist from Lawrence Berkeley that
4 probably is more familiar with it, and they're doing
5 full reactivation experiments, but ... in which they
6 inject pore pressure into the ... an existing fault and
7 they, they let it, you know, sit and observe what
8 feedbacks on this. And apparently they can, you know,
9 see that there is actually some effects of both:
10 percolation of fluids, but also, let's see, something
11 that represent self-sealing in the system, and that's
12 expected, especially when you have fractured a rock, et
13 cetera.

14 Now, with that said, how long it takes could
15 be in the length of experiments: days, months, and
16 it's something that actually had been observed for
17 clay-rich material in lab scale experiments as well.

18 Short-term scales, but also applies to long-
19 term scales. Does that answer the question?

20 PEDDICORD: Well one thinks about when they
21 ... you had the situation with WIPP, where you were
22 down for a couple of years or so.

1 CAMPHOUSE: A few years.

2 PEDDICORD: And really when you put back into
3 those drifts, a lot of them really had started to move.

4 CAMPHOUSE: Right.

5 PEDDICORD: And moved towards self-sealing.
6 So that was a fairly fast timeframe. And I'm assuming
7 for the clays, it's quite a bit slower. And so I was
8 kind of after a comparative number of values of say,
9 salt and apparently sealing fairly quickly in the order
10 of months, maybe years, as opposed to the clays, the
11 argillite, which I'm assuming, having been in some of
12 those underground research laboratories, looks like
13 it's a much longer process.

14 CAMPHOUSE: Yeah.

15 PEDDICORD: But still effective.

16 CAMPHOUSE: Mm-hmm.

17 JOVE-COLON: This is Carlos Jove-Colon from
18 Sandia National Labs. Yes, I agree with that. Creep
19 processes, which are, you know, in terms of, you know,
20 time, it's very ... it's an inherent property of the
21 salt rock itself. And of course clay is a different
22 rock, it deforms differently.

1 But yes, at the end of the day, the process is
2 the same. Maybe it's slower. But again, there are
3 argillites that are clay rock, and they're different
4 kinds. Some of them are harder, indurated. Others are
5 softer. And so the gamut of properties can change
6 considerably, when it comes to time scale, which is
7 specific to your question.

8 BAHR: It looks like we have someone else who
9 is going to ... Jonny Rutqvist or Dave Sassani?

10 RUTQVIST: Yeah, we actually do some ...

11 BAHR: This is Jonny Rutqvist.

12 RUTQVIST: Yeah, this is Jonny Rutqvist,
13 Lawrence Berkeley Lab. So I work doing model
14 simulation, both in salt, host rocks, and also in clay-
15 based, like argillite. Yeah, for salt, host rocks, you
16 get very fast, I mean, sealing or the ... for example,
17 of the excavation disturbed zone, especially if you're
18 high, you know, higher temperature and it's
19 accelerated. And also of the ... you have the crushed
20 backfill which can actually consolidate within 20 year,
21 or, I mean, it takes like 20 years, I mean, for a
22 section, I think to consolidate, but ... at least.

1 And then in clay, it depends, of course, on
2 the ... in argillite it depends on the clay contents,
3 they vary, whether is there more brittle or more
4 ductile. Shale, actually, I will show in the next
5 presentation, some simulations with it.

6 And I will also say in like, at Mont Terri
7 Underground Research Laboratory and they look at the
8 excavation disturbed zone. If they have such a
9 disturbed zone and then they have the bentonite, or
10 they put pressure on that disturbed zone, you also have
11 a swelling of the clay and then you can seal it very
12 quickly, just by the pressure, because you have ...
13 because it's a kind of a ductile shale.

14 And also, there is long-term creep processes
15 that will kind of seal it while it's got more. So I
16 think it depends very much on the type of shale you
17 have. Mm-hmm. Thank you.

18 BAHR: Looks like Dave Sassani wants to add to
19 that.

20 SASSANI: Yes. Dave Sassani, Sandia National
21 Laboratories. Just to add really quickly, just to ...
22 kind of summary item. And Bill has talked about this

1 before. At ... in the Belgium system at Mol, and their
2 URL, their clay is like modeling clay that you would go
3 pick up at, you know, Home Depot and add a little water
4 to, and it oozes. So you can see it oozing out of
5 openings in the wall. And this is why their engineered
6 barrier system isn't simply a bentonite backfill. But
7 they're also looking at concrete for structural support
8 for operational purposes to keep the drifts open. So
9 that's on the one end, which is much more like the salt
10 aspect.

11 But as you get into the more brittle
12 varieties, which have better structural properties, you
13 also have longer periods of time over which it occurs
14 decades to hundreds of years. Where for some, you
15 really get into the end member that's more like a
16 crystalline system for like a slate that's fractured,
17 and it ... well those fractures potentially will stay
18 open, and you may have fractures occurring later. So
19 you might have the end member that's more like a
20 crystalline case with fast fracture pathways.

21 So the trick there is of course targeting a
22 clay or an argillite that has those properties that

1 allows you to operate reasonably and then put in your
2 engineered barrier and close and seal, and then let it
3 systematically seal over the hundreds to a thousand
4 year timeframe.

5 BAHR: Thank you. This is Jean Bahr from the
6 Board. A sort of broader question, one of the things
7 that we were interested in is a summary of what ...
8 what are the big things you've learned in terms of
9 processes over perhaps the last decade? Both the U.S.
10 and the international community, and the experiments in
11 the underground research lab work that you ... you
12 mentioned development of a lot of models. But what
13 have been the process understanding advances that have
14 been made in that time scale?

15 CAMPHOUSE: Okay. Yeah. So I can give a,
16 kind of an overview answer, and then maybe funnel into
17 more technical specifics, I'll have to hand it ...

18 But thermal is obviously very important. So
19 HotBENT is looking at that. The BATS Test that was
20 talked about already is looking at the impacts of heat
21 on how brine stays available in the salt host rock.

22 BAHR: I'm asking about the argillite rocks.

1 What have you learned about thermal processes and what
2 are some of the remaining gaps and knowledge that
3 you're really trying to target?

4 CAMPHOUSE: Okay. Yeah, I'm going to have
5 hand that to ... maybe Jonny.

6 RUTQVIST: This is Jonny Rutqvist again,
7 Lawrence Berkeley Lab. So thermal processes, I think
8 temperature we can predict pretty well in the ... most
9 host rocks because it's dominated by conduction.

10 CAMPHOUSE: Mm-hmm.

11 RUTQVIST: And that's kind of a quite simple
12 process to model if it ... if you have the right
13 thermal conductivity. In shale you have the
14 anisotropic thermal conductivity you have to consider.
15 And so we usually see that we can predict temperature
16 quite well; whereas, other processes, like pressure and
17 mechanical responses are more difficult to do ... to
18 deal with.

19 So I think ...

20 BAHHR: So are there some sort of milestone
21 things that you've learned in tackling that pressure
22 prediction over the last ... or is it just a hard

1 problem and you're still working on it? We heard, when
2 we had our fact-finding meeting, that you've learned a
3 lot over the last 10 years. So I'm trying to get a
4 feeling for a little bit more specifics of things that
5 you've learned that you can point to as improved
6 understanding.

7 RUTQVIST: Yeah. I'll be presenting in the
8 next presentation about the thermal effects and the ...
9 I mean it'll be from this field experiment, large-scale
10 field experiment, we sometimes ... we noticed that we
11 sometimes, like looking at the pressure, we didn't ...
12 couldn't capture exactly what happens, so we then tried
13 to find what's the reason.

14 And especially, and the mechanical effects, so
15 especially the mechanics, usually very difficult to
16 measure because we ... sometimes you have a ... the
17 measuring devices, I know the ... you have this kind of
18 a mechanical extensometer, and some things like ...
19 tried to measure the formation and the slip and things
20 like that. So it's just difficult to measure.
21 Nowadays you have ... start didn't have any
22 fiberoptics, so I think we would get better

1 measurements of the mechanics in the future, but ... so
2 I think that's ... and we have seen that ... we saw
3 that for the pressure evolution, that there might be
4 some reason to be ... we see that it might be an overly
5 long term, it's ... was more difficult to actually
6 predict the pressure responses, and you know, we are
7 trying to figure out the ... this is ongoing work to
8 figure out that. Yeah, so ...

9 BAHR: Okay, thank you.

10 Are there questions from other Board members?

11 Tissa.

12 ILLANGASEKARE: Yeah. Thank you for the talk.
13 So you mentioned ... this may be a detail, but it will
14 come up later in the DECOVALEX. You can model
15 comparisons.

16 CAMPHOUSE: Mm-hmm.

17 ILLANGASEKARE: But I wonder, from most of
18 these models, and some of knowing that there are so
19 many parameters. So in your comparisons, do you still
20 try to come up with a ... some sort of a calibration
21 process?

22 CAMPHOUSE: Mm-hmm.

1 ILLANGASEKARE: So based on ... like, you
2 know, calibration is sort of an art in some of these
3 cases, that are science, so ... so we've got to make,
4 like a process. Part of this comparison, this project,
5 it's a way of coming up with some sort of a calibration
6 processes when you come from different scales, but you
7 also move inside of different scales.

8 CAMPHOUSE: Right, right. Yeah, that's a lot
9 of what the DECOVALEX Project is about. So we'll take
10 a set of data ... well not "we," but I'm on a
11 multinational team ... we'll take a set of data
12 generated from a real URL and then look at how well
13 their parameters and models match that data.

14 And then, as you described it, begin to
15 calibrate those implementations to see where, maybe the
16 parameter specification isn't quite right or other ways
17 they can refine and improve their model to capture that
18 data better. That's the way I think ... what one of
19 the big thrusts of DECOVALEX is.

20 ILLANGASEKARE: That's what I'm trying to say.
21 So see if you can focus on those calibration issues.

22 CAMPHOUSE: Mm-hmm.

1 BAHR: And I'd like to welcome Paul Turinsky,
2 who, finally arrived, and I think he has a question.

3 CAMPHOUSE: Okay.

4 TURINSKY: Took four tries to get a flight
5 that actually made it. And I think I drove as many
6 miles to and from the airport to my home. I could've
7 been driving here directly from ... with my car to
8 Washington.

9 But in asking these questions, know that I'm a
10 nuclear engineer.

11 CAMPHOUSE: Okay.

12 TURINSKY: So okay. There's been some
13 questions Tissa just asked on parameters. As you go
14 across the different clay types, do you actually have
15 to change the model forms themselves? In other words,
16 not just the input to the code of some parameter value,
17 but the actual form of the models.

18 CAMPHOUSE: Yeah, so at least the parameters
19 will change, right, so the permeabilities and things
20 and the porosities will be different. And the model
21 implementations, I'm not as familiar with.

22 Maybe Dave might ...

1 BAHR: This is Jean Bahr. For example, for
2 the mechanical properties and processes are likely to
3 be quite different in a very plastic material compared
4 to a more brittle one.

5 CAMPHOUSE: Mm-hmm.

6 SASSANI: Hi. This is Dave Sassani, Sandia
7 National Laboratories. I'm going to speak to the
8 generalities, and I'll leave the specifics of the
9 mechanical to Jonny, perhaps, to speak to. But it's a
10 great question. And we do want to capture those
11 parameter ranges, and the uncertainty, the variability
12 that go into the safety assessment models for those
13 pieces that eventually would go into the safety
14 assessment. But one of the aspects that is a large
15 change across these is what we talked about just
16 previously, which is in the clay systems you can go
17 from rocks that are very mushy to malleable to brittle.
18 And when you go into the brittle stage, you introduce
19 potential fast fracture flow pathways into the clay,
20 into the formation. And those are a conceptually
21 different aspect. And those are the major pieces that
22 we're looking to figure out what are those major

1 conceptual pieces that change so we can put those into
2 the process models, evaluate them there and see, okay,
3 do these impact the safety assessment side, and do they
4 need to be included explicitly.

5 The thermal mechanics are a good parameter
6 value exercise and investigation. And I'll let Jonny
7 perhaps talk to that range of parametrics.

8 TURINSKY: So it would seem like you would
9 need a ... it would seem like you would almost need a
10 model then for cracking.

11 SASSANI: Yes, absolutely.

12 CAMPHOUSE: Yeah.

13 SASSANI: Because you want to consider
14 potential future crack formations in the formation,
15 particularly due to the thermal mechanical coupling.
16 In general, as I said, this range of behavior in clay
17 repository systems, argillite systems, it takes you
18 almost from the salt case all the way to the fractured
19 crystalline system cases. And you would adjust your
20 engineered barriers as needed.

21 In many cases, if you have a healing clay
22 formation, the bentonite barrier plays less of a

1 substantial role in the safety assessment because the
2 rest of the clay system is there doing almost the same
3 thing. But if you have fracture, fast fracture
4 pathways that you're going to be expecting to be in
5 your expected case for safety, you really want to have
6 a very robust engineered barrier system performance
7 then.

8 TURINSKY: All right. I have two other
9 questions, Jean, if okay. How similar are clays that
10 we're doing the experiments on versus the clays in the
11 U.S. that we would consider as potential host rock
12 sites?

13 CAMPHOUSE: Yeah. I'll have to give that to
14 ... I don't know the answer to that one.

15 JOVE-COLON: This is Carlos Jove-Colon, Sandia
16 National Labs. So your question is what is the
17 similarity of the clays that actually were studied
18 versus the one that we are really considering in
19 putting a repository on.

20 TURINSKY: Mm-hmm.

21 JOVE-COLON: And well, that's kind of a siting
22 question. And right now, we don't have a site or a

1 siting process. So we don't ... for me it would be
2 hard to answer, or probably I can give you a general
3 answer about what the similarity will be. We're
4 looking at an entire range. For example, in ... what I
5 do is bentonite, which is more an engineered barrier
6 system, and sometimes bentonites are different from the
7 host rock clay. So I can talk, like, more about those.

8 In terms of the host rock, they're going to be
9 different clay rocks with different levels of
10 induration, you know, some of them are going to be more
11 ductile or more brittle than others.

12 So at this point, we're looking at, you know,
13 various types of rock, mainly from the international
14 program perspective. But basically, they're going to
15 be some differences, but unless we have some target
16 sites, with a specific rock, it's kind of hard to
17 answer that question.

18 TURINSKY: Okay, well I'll ask a different
19 one. Are there host rocks in the United States that
20 are very similar to the host rocks we're doing the
21 experiments on?

22 JOVE-COLON: I would say in general there's

1 some similarities. Again, we have, for example, you
2 know, I will ... we forgot Chris Neuzil here in the
3 audience, but he's more of the expert on the shale
4 rock. But there are host rocks, either pure shale, and
5 it's going to be ... some parts of that particular
6 formation that are going to be very soft clay, I mean,
7 but there are others in which they're going to be a
8 more level of induration. They're harder and brittle,
9 so it depends.

10 Yes, the answer to the question would be yes,
11 we can cover ... and I think Ed Matteo, later, is going
12 to give an idea of how these different shale
13 formations, in terms of the brittle versus ductile look
14 like in a, kind of an ternary diagram. So it gives you
15 a general flavor of the range of clay host rocks, in
16 terms of their properties, brittle versus ductile, here
17 in the U.S.

18 TURINSKY: My last question is
19 heterogeneities; it's something that I assume you
20 really can't characterize in detail.

21 CAMPHOUSE: Mm-hmm.

22 TURINSKY: So I'm, again, talking host rock

1 here. So how does the model account for something that
2 I think is not totally known for a site when you're
3 looking at it? What's the approach to that? Or maybe
4 it's not important. I, you know, again, I'm a nuclear
5 engineer.

6 CAMPHOUSE: So one thing that we work on is to
7 characterize the uncertainty associated with each
8 material that's included in the model. And that's
9 where that piece would fit in from.

10 TURINSKY: Yeah.

11 CAMPHOUSE: So you'd have a range of material
12 properties to try and capture those different material
13 characteristics.

14 TURINSKY: Are the experiments large enough,
15 though, to cover the, you know, a large enough area
16 where they ... you wouldn't know it's necessarily there
17 in detail.

18 CAMPHOUSE: Yeah, that's a good point.

19 TURINSKY: In other words, if you did the
20 experiment and went into what looked like the same type
21 of clays.

22 CAMPHOUSE: Mm-hmm.

1 TURINSKY: But, would you expect to see some
2 differences if you did the experiment in different
3 locations in that, you know, that mine?

4 CAMPHOUSE: Yeah, you would expect to see
5 difference in different locations. That's what I was
6 trying to get at with the way you would characterize
7 the uncertainty in the parameters. You want to take
8 ... at least for now, when we're doing a sort of a
9 generic geologic implementation in the GDSA, you want
10 to take information from different sides to build that
11 uncertainty distribution. So you'd take, you know, if
12 there are changes in the permeability or what have you,
13 from different locations, you want to build that into
14 the uncertainty.

15 BAHR: And Tissa has a comment.

16 ILLANGASEKARE: Yeah. Tissa Illangasekare.
17 So I think just to follow up, but you mentioned, that
18 part of the DECOVALEX research is upscaling, looking at
19 upscaling issues. My assumption, the answer seems to
20 be that even though you don't know exactly what the
21 heterogeneity in the field is, but if you look at both
22 from a material and practical point of view probably

1 can make this issue of upscaling associated with
2 heterogenous systems in your model uncertainty analysis
3 in some way or another?

4 CAMPHOUSE: Mm-hmm.

5 ILLANGASEKARE: I think that's probably what
6 ... maybe that may be what you are looking at when you
7 look at upscaling, I assume.

8 CAMPHOUSE: Yeah. I agree.

9 BAHR: Are there questions from staff members?
10 We're running a little ahead of schedule, so if there
11 are any questions from other people who are here in the
12 room, I'd welcome those. Or comments.

13 BOYLE: Yeah. William Boyle, DOE, not a
14 question, but a comment. Back to Paul Turinsky's
15 question.

16 But, you know, there's measurement error that
17 can give a spread in results. And then there's, well,
18 we measured a property here and then a hundred feet
19 over. We measured ostensibly, the same property and
20 got a different number.

21 Both of those effects are completely taken
22 care of in the analysis of a site. It's, first of all,

1 it's good science and good engineering to take into
2 account the uncertainties.

3 But in the United States, it's also required
4 by the Nuclear Regulatory Commission's regulation. We
5 have to be aware that human knowledge is imperfect, and
6 on top of that, Mother Nature is dealing from a very
7 big deck and gives out different values sometimes for
8 seemingly the same thing.

9 So all that's ... it's through a Monte Carlo
10 simulation that we scientists and engineers try to
11 encompass all these different types of uncertainty and
12 make sense of it. So it ... we are aware of the
13 uncertainties and the different types, and there are
14 methods for trying to come to grips with those
15 uncertainties.

16 BAHR: Other comments? Questions? Anything
17 else from the virtual land?

18 LESLIE: No.

19 BAHR: Okay. Well then, I guess we can move
20 on to our next speaker.

21 Thank you, Chris.

22 CAMPHOUSE: Thank you.

1 BAHR: Our next speaker is Jonny Rutqvist,
2 who's going to be talking about modeling the long-term
3 integrity of the argillite host rock barrier.

4 RUTQVIST: Okay. Thank you. So I'm going to
5 talk about the long-term integrity of argillite host
6 rock barrier. So the argillite host rock is one
7 important barrier of the multi-barrier system as we can
8 see here. Starting with the waste canister that should
9 isolate the waste, and then you may have a bentonite
10 buffer surrounding the waste canister in the tunnel
11 that is placed maybe 500 meters deep in the bedrock.

12 So the bentonite buffer then should provide
13 mechanical stability of the canister, retard the
14 arrival of water and corrosive solutes to the canister;
15 retain and retard migration of radionuclides if they're
16 released from the canister.

17 And to this I also would add that it's very
18 important, actually, for supporting over the excavation
19 role, in the case of such ... in argillite, actually to
20 ... this is important to sealing the excavation
21 disturbed zone, so it's important to have the fully-
22 developed swelling, stress, in the bentonite buffer to

1 actually interact with the host rock as well.

2 And then you have the bedrock that should
3 provide a stable chemical and mechanical environment
4 and retard radionuclides if released.

5 So in this presentation, I will focus on
6 coupled thermal, hydraulic and mechanical couplings of
7 processes as you can see here, and how they can impact
8 the barrier integrity. And at the end, how they impact
9 the contaminant transport. So I'm not going to ... I'm
10 not working on the contaminant transport, because
11 that's taken care of in the performance assessment, the
12 safety assessment or GDSA.

13 So I'm only focusing on the coupled processes
14 and how they meet ... may impact the barrier system,
15 permeability and so on. And that ... then that can be
16 taken account in the performance assessment.

17 So in a nuclear waste disposal, the processes
18 ... coupled processes tends to be thermally driven. So
19 you see down there you have the temperature. So if you
20 have a temperature change, you may go up to the
21 mechanics through thermal expansion, and that will then
22 change the stress and strain field in the host rock.

1 And if you change it too much, you may get failure of
2 the rock, and that can then, in turn, change the
3 permeability if it goes down to the hydraulics. And
4 that could then impact the ... the barrier performance.

5 If you go from hydraulic to mechanics, we have
6 a moisture swelling of the bentonite buffer. This is a
7 very important process for the performance ... for the
8 bentonite buffer function.

9 And then you have effective stress. So that
10 means if you reduce ... if you increase the pore
11 pressure ... you can change the stress field by
12 changing the pore pressure and you can even get
13 hydraulic fracturing that would not be so good. So
14 this is complex coupled processes that we actually need
15 to understand better to actually reduce the
16 uncertainties in our prediction of the long-term
17 behavior.

18 And this figure shows ... illustrate thermally
19 driven coupled thermal hydromechanical processes in the
20 near field over bentonite backfilled repository tunnel.

21 So you have in the center, you have the heat
22 releasing waste canister. And then number one, you get

1 the heating of the bentonite and the host rock.

2 And then close to the waste canister you have
3 a number two drying and shrinkage of the bentonite
4 because of evaporation. These are quite short-term
5 processes happening in the first few 10 years or so.

6 At the same time, number three, you have the
7 wetting and swelling by inflow from the surrounding
8 host rock into this bentonite buffer that is initially
9 partially saturated when they emplaced it.

10 And then, number four, you have thermal stress
11 and deformations; that, in number five, can give a
12 thermal mechanically induced changes in the
13 permeability.

14 So number six added ... this is thermal
15 pressurization, which is important for a low-
16 permeability host rock such as clay or shale where you
17 have actually thermal expansion of fluids that is
18 trapped in this medium and that can increase the
19 pressure quite high, so this can be quite important in
20 this kind of a medium.

21 So as I say, this is maybe short-term here.
22 It's sealed to 1,000 meters ... this is 1,000 years.

1 This is when you have a high temperature from the heat
2 released from the canister. And then the question is
3 what is the long-term impact of this? What is the
4 impact on the bentonite buffer function?

5 Number two intact ... impact on the rock
6 bentonite interface; impact on the excavation disturbed
7 zone, and the impact on transport properties.

8 So ideally you would have a situation where
9 you have got fully saturated the bentonite buffer
10 within recent of time like 20 or 30 years or something
11 like that.

12 And then you have a fully developed swelling
13 stress and can actually tighten the ... all the
14 interfaces and the host rock as much as possible.

15 This is ... illustrate actually a case where
16 you ... if you have a breach of the barrier. So this
17 is a case if you don't develop the swelling stress in
18 the buffer and you get the support against the
19 excavation roll and you may have fractures open. In
20 this case, in the hypothetical case, you have a release
21 of radionuclides that could provide some pathway for
22 transportation of the radionuclides.

1 So this is something we want to avoid, and we
2 want to learn more about this coupled processes to
3 actually reduce the uncertainties to actually make sure
4 that we do not ... that this will not occur.

5 Also seeing in model simulations actually that
6 ... actually the large-scale coupled processes can be
7 important. So thermally driven coupled thermal
8 hydromechanical processes. And this means that this is
9 illustrated. You have many, many emplacement tunnels
10 here in the repository in a row. And you would heat up
11 this whole region because of release of heat from the
12 waste canisters. And this will also then ... could
13 also induce thermal pressurization over a large area.

14 So this kind of increase in temperature and
15 pore pressure would then change the stress field, and
16 preferentially it would increase the stress field in
17 horizontal direction because you have ... the rock is
18 confined versus in the vertical direction, the stress
19 field is determined by the ... actually by the weight
20 of the overburdened rock and then the free-moving
21 ground surface. So you would not change the vertical
22 stress field much.

1 And ... but increasing the horizontal stress
2 will then lead to increased shear stress in this area,
3 and the question is whether you can actually induce
4 shear activation if you have fractures. That may be
5 more relevant in brittle shale. Or if you can induce
6 hydraulic fracturing. If you ... if this kind of
7 thermal pressurization is high enough to exceed the
8 vertical stress, it would actually induce other rock
9 fracture. So this is something we ... needs to be
10 studied and avoided.

11 So to study these effects we have a modeling
12 framework we have developed, so we are using the ...
13 our TOUGH2 multiphase flow simulator developed at
14 Berkeley Lab and linked it to a FLAC3D geomechanic
15 simulator.

16 And so these are actually kind of two
17 established codes with each thousands of users. So
18 this also provides some confidence in this model
19 simulations ... model simulators. And they are both
20 developed and continuously applied in their respective
21 fields. You have a large number of fluid and
22 mechanical constitutive models that can be utilized.

1 So this was first developed and applied in the
2 Yucca Mountain Project. Then we expanded it to
3 bentonite and argillite host rocks, and also to salt
4 host rocks and salt backfill by adding new capabilities
5 to the existing model and framework. Basically adding
6 new constitutive models ... mechanical constitutive
7 models, or THM models, that can model this kind of
8 behavior of the bentonite and salt and argillite; it
9 has also been used by other teams internationally, this
10 model framework.

11 For argillite host rock, so it's important to
12 consider the anisotropic THM properties. So that
13 means, for example, you have these bedding planes. And
14 so you have different properties across the bedding and
15 along the bedding.

16 For example, mechanical model considering
17 those as weak planes to reduce shear strength in ...
18 along the bedding. Higher thermal conductivity along
19 the bedding, higher permeability along the bedding. So
20 these are important to have into the models to actually
21 model this accurately.

22 Then you have the excavation disturbed zone,

1 so you can see on the picture there, down below there,
2 these are measurements of permeability around the
3 tunnel in Opalinus Clay. You can see that the
4 permeability around ... adjacent to the tunnel is
5 several orders of magnitude higher than the host rock.
6 So this is due to creation of fractures. And those
7 fractures are being unloaded against the free surface.

8 So could be after excavation, you have this
9 kind of increase in permeability. Hopefully when you
10 put in the bentonite and it swells, it will close those
11 fractures and seal it off. It's also important to
12 consider where you have brittle versus ductile sealing
13 argillite because in the brittle shale you may have
14 more permanent changes in permeability.

15 Models can be ... you know, you can do model
16 simulations of these experiments and actually calibrate
17 the model that could actually model this. So you can
18 use like a stress-dependent permeability model, for
19 example, to model these kind of effects. But could be
20 site-specific. Could be different from, even in
21 argillite, if you go from Opalinus Clay in Switzerland
22 and the Bure site in France, there may be some

1 difference, and also depending on the direction
2 relative to the stress field ... local stress field and
3 zone.

4 We have done a lot of model verification and
5 validations over the years. So you can use, first of
6 all, analytical solutions to do verification if they
7 exist. There may be some thermal pore elasticity
8 existing. You have laboratory experiments. These are
9 often used to actually determine the properties of the
10 material. Sometimes you use numerical modeling of the
11 experiments to actually infer the underlying properties
12 of these materials, including bentonite or shale.

13 Then we have the important, I think, the field
14 experiments where we have ... through the DECOVALEX
15 Project, we have access to this multi-year, multi-
16 million dollar experiments ... experimental data. And
17 these are very important because we model ... we can
18 model the processes at the relevant scale of a tunnel
19 or an emplacement tunnel.

20 And here it's listed the number of
21 experiments. So we have data from two different shales
22 here, or the Opalinus Clay at Mont Terri and Bure in

1 France, the COx claystone. So for the Mont Terri, we
2 have the HE-D, which was the thermal pressurization.
3 This was part of the DECOVALEX 2015, looking at the
4 thermal pressurization in the host rock.

5 Then it's the HE-E, which was a half-scale
6 bentonite argillite interaction. So you have the ...
7 you have a tunnel, it was half-scaled sized tunnel with
8 a heater inside. You heat up the rock and the
9 bentonite and look at the THM responses.

10 Then there was a fault slip experiment where
11 we injected ... where they injected the active way to
12 the fault that crosses the Mont Terri and laboratory.
13 You look at the permeability changes and the creation
14 of the slip of the fault and how permeability changes
15 and how it evolves over time. And then long-term
16 sealing.

17 So this is something we modeled part of
18 DECOVALEX 2019. Currently we are modeling the full-
19 scale emplacement experiment. This is DECOVALEX 2023.
20 This is the full-scale, large-scale experiment, a 50-
21 meter-long tunnel; it's a full-scale of the Swiss
22 concept of radio over emplacement over waste disposal.

1 And the heating, the heating has been going on
2 for 5 ... more than 5 years, and it will go on for 15
3 to 20 years. So here we can get more longer-term data.

4 Then for the Bure, you have the COx claystone.
5 DECOVALEX 2019 we looked at the borehole heater thermal
6 pressurization experiment again. And then using,
7 actually parameters determining ... calibrated from
8 that experiment, we then go on to our bigger scale
9 experiment, which was the ALC Micro-Tunnel Experiment.
10 This is an experiment using a micro-tunnel ... I will
11 present that more detail in the next slides ... where
12 they actually using the concepts of the French nuclear
13 waste disposal system to emplace nuclear waste.

14 Currently we are working on modeling a thermal
15 fracturing experiments conducted. This is ...
16 structurally increase the heat more and use a fracture
17 and see the changes in the permeability.

18 So here we can use this for the validation and
19 verification of the code for argillite to THM models
20 and bentonite THM models. We can compare with data,
21 but we can also compare with other codes within the
22 DECOVALEX Project, as well as compared with other

1 conceptual models that are used in the DECOVALEX
2 Project because each team may use slightly different
3 conception model of applied, you know, boundary
4 conditions and so on. So this is good to actually ...
5 actually, by this we can actually identify some
6 uncertainties and quantify some uncertainties by doing
7 sensitivity studies and looking at these processes.

8 So now I'm going on to the modeling of the
9 ALC, the micro-tunnel experiment at the ... in
10 claystone at the Bure Underground Research Laboratory
11 in France. So this is a micro-tunnel that is heated so
12 the micro-tunnel is open, 7 meters in diameter, 25
13 meters long. So this is the concept of a nuclear waste
14 disposal in the French system. So they're going to
15 emplace their nuclear waste in these kind of micro-
16 tunnels. And it's a 4-year heating up to about 50
17 degrees C, if you go a few meters away from the heat
18 source.

19 There are five DECOVALEX 2019 modeling teams
20 who are using different models and the properties for
21 this modeling was, as I said, it was taken from ... we
22 did previously modeling a smaller Borehole Heater Test

1 and did calibrate the model there. And they also used
2 the data from laboratory scale measurements that was
3 kind of validated against that small scale heater
4 experiment. But here, then we took those parameters
5 here and we did ... first did a blind prediction of
6 what could happen for the temperature and pressure
7 evolution for this case.

8 To the right you can see the model we used,
9 and you can see the horizontal bedding orientation. So
10 we have anisotropic properties here.

11 So now I'm going to show kind of movie of the
12 evolution of the temperature and the pressure. So to
13 the left you can see the ... you will see the evolution
14 up to the left the contour, you will see a contour of
15 the evolution of the temperature.

16 And to the right, you're going to see the
17 evolution of the contour of the pressure. So here,
18 this picture is taken just right after the excavation
19 of the micro-tunnel. So you can see there is a blue
20 ... if you look at the figure to the right, there's a
21 blue color in the micro-tunnel. This just means that
22 the pressure is very low there, it's more less

1 atmospheric.

2 And then the blue area ... the blue contours
3 on the edge of the ... with that, the model is actually
4 two tunnels where you also have atmospheric pressure.

5 You can see also there is some reduced
6 pressure there around where you have 25 meters. So
7 that's actually a monitoring borehole that's ... that
8 intersects into the system. And it's very important to
9 consider those monitoring boreholes also in this
10 modeling of this experiment because otherwise you
11 cannot ... you cannot model the pressure evolution.

12 So you know, not only you need to model the
13 rock itself, you actually sometimes need to model the
14 experimental equipment or boreholes to actually do
15 this. So this is not very easy.

16 Then you'll see, on the bottom you'll see, two
17 graphs. You'll see the ... to the left you'll see the
18 temperature evolution. And this is the black lines
19 here. The black line is for one monitoring point:
20 1616-2 shown up there. You can see that the ... that's
21 to start the heat there after 200 days and you get the
22 increase in the temperature up to about 50 degrees.

1 And then you look to the right, you can see the
2 pressure versus time in days.

3 So as soon as you turn on the heater, you turn
4 on the heat source, you get the increase in pore
5 pressure and this is caused by the thermal
6 pressurization.

7 And then there is a peak, and then there's a
8 reduction in pressure and this is because you have
9 fluid diffusing against the ... towards the open
10 borehole that is open at the atmospheric pressure.

11 So let's see. So what you're going to see
12 now, you're going to see first the excavation of the
13 tunnel, of the micro-tunnel. And then, after some
14 time, you're going to see the start of the heating on
15 the picture to the left, for the borehole, and then
16 you're also going to see the thermal pressurization
17 evolve in the one to the right.

18 So now you have ... here you have excavation,
19 blue, and then after, and coming to 200 days, you got
20 the heating starts, and then you get the thermal
21 pressurization evolving in the figure to the right.
22 And this is ... you can also see that close to the

1 borehole, there is not much pressure changes because
2 that's kept at atmospheric pressure, and you have flow
3 into the borehole.

4 BHAR: This is Jean Bahr. What's the ...
5 there's a little low-pressure zone that heads off
6 perpendicular to the micro-tunnel.

7 RUTQVIST: So that's a monitoring borehole.

8 BAHR: Another one. Okay.

9 RUTQVIST: That has also ... you need to
10 consider that in the model. It's a monitoring borehole
11 that is open. It ... you have some fluid going into
12 the borehole, so that impact the pressure, yes.

13 BAHR: Okay.

14 RUTQVIST: Okay. Now we can look in more
15 detail about the comparison between the measurements
16 and modeling team. So in this figure we show ... I
17 show to the left, we can see results for one point
18 that's located above the heat source; it's about four
19 meters above the heat source, across the beddings.

20 And then to the right, you'll see another
21 monitoring point that is located on the side of the
22 heat source, it's about 2.5 meters away from the heat

1 source.

2 So as you can see, the ... for the one to the
3 right, you can see that the temperature increases more,
4 up to 50 degrees versus the temperature for the one to
5 the left increases to 40 degrees, so this increases to
6 higher temperature on the right because it's closer to
7 the monitoring point. And, you know, this shown the
8 thermal conductivity is higher in the direction along
9 the bedding.

10 So what's shown here, the black line is the
11 measurements, and the different colored lines are the
12 model predictions. So this shows, again, as I said,
13 you can predict the thermal ... thermal temperature
14 quite well, usually, because it's dominated by heat
15 conduction. Doesn't matter if you have a very complex
16 processes, maybe in the near field it's over pressure
17 and so on. It's dominated by heat conduction. So if
18 you have a correct thermal conductivity and the heat
19 source ... model heat source, you can predict
20 temperature evolution quite well.

21 So this is done using the thermal conductivity
22 values that we had determined from a previous

1 experiment, a nearby experiment.

2 PEDDICORD: Could you remind us the different
3 models there, Andra is the French?

4 RUTQVIST: Oh, the different models?

5 PEDDICORD: Yeah. The sources or the
6 organizations.

7 RUTQVIST: Yeah. So these are different
8 modeling teams. So Andra is the French nuclear waste
9 agency.

10 PEDDICORD: Yeah.

11 RUTQVIST: You are asking what kind of models
12 they have?

13 PEDDICORD: No, no, no. What the organization
14 and country is.

15 RUTQVIST: Oh, okay. NWMO is the Canadian
16 Nuclear Waste Organization. Quintessa is a consultant
17 from U.K., they work for the British, for the British
18 Nuclear Waste Organization. UFZBGR; so BGR is the
19 German Geological Survey, I think. And UFZ is a
20 university in ...

21 PEDDICORD: Yeah. And then is it correct that
22 in the left one, all the predictions are uniformly high

1 for that position; and the right, they're uniformly
2 low?

3 RUTQVIST: I think in both cases they are a
4 little bit high, but ...

5 PEDDICORD: I mean, they're all close.

6 RUTQVIST: A little bit, but still I think
7 it's good. I mean ...

8 PEDDICORD: Yeah.

9 TURINSKY: These are blind predictions.

10 RUTQVIST: Huh?

11 TURINSKY: These are blind predictions.

12 RUTQVIST: Yeah, it's a blind prediction.
13 Yeah, yeah.

14 TURINSKY: Okay.

15 RUTQVIST: It's a blind prediction.

16 TURINSKY: And are there any ...

17 RUTQVIST: So if you ... if to ... yeah, if
18 you slightly change the thermal conductivity, you can
19 get it exactly on it. On the ... yeah.

20 TURINSKY: Okay. And the measurements;
21 there's no error bars shown. Are they so small they're
22 not worth showing?

1 RUTQVIST: Hmm? The ...

2 TURINSKY: The measurements have no error bars
3 on the plots. Are they so small that ...

4 RUTQVIST: No. No, they're ... not in this
5 case, yeah, yeah, yeah. Yeah, I mean, temperature can
6 measure in a point and with a device I think ... yeah.

7 TURINSKY: Okay.

8 RUTQVIST: But ...

9 TURINSKY: So the difference is a real
10 difference ...

11 RUTQVIST: But sometimes you can see some
12 things happening in the ... not in these plots, but you
13 can see that our measurements error for some reason.

14 TURINSKY: Okay. But the differences then
15 between prediction and measurement are real differences
16 because the measurement ...

17 RUTQVIST: Yeah.

18 TURINSKY: ... uncertainties are so small.

19 RUTQVIST: Yeah, yeah, yeah, yeah. I guess
20 so, yeah.

21 TURINSKY: Yeah. I ...

22 BAHR: This is Jean Bahr. Did each team use

1 the same thermal conductivity or is it ... are the
2 differences because they used different values of
3 thermal conductivity and ...

4 RUTQVIST: I think they used a slightly
5 different thermal conductivity. Because we did the, as
6 we said, we did the model calibration against another
7 smaller-scaled field experiment in another part of the
8 same mine. I mean, I don't know exactly how far away
9 it was. And the different teams then came up with ...
10 I mean, quite similar values, but not exactly the same
11 values on the thermal conductivity.

12 BAHR: And this is Jean Bahr, again. Were
13 there any significant differences in the underlying
14 conceptual models or constitutive relations in these
15 models or are they all basically based on the same heat
16 conduction formula?

17 RUTQVIST: Yeah. The heat conduction models
18 are very similar, the anisotropic. But how do you
19 model the ... I mean, how do you model the heat source?
20 How do you put in ... the borehole into your model and
21 that can ... maybe some slightly differences in the ...
22 in the models and ... how did they put boundary

1 conditions. You have boundary conditions on the
2 tunnels and things like that, so could be some
3 differences, yeah.

4 Okay. I better continue. Okay. So in my
5 opinion, it's a, I mean, good enough prediction. But
6 when it comes to pressure, it's more complex. Here we
7 can see some deviation between measured and modeled
8 anisotropic pressure evolution.

9 So if you look to the right, you have the
10 pressure versus time for the ... for the point located
11 about four meters above, across the beddings. And you
12 can see that the black line is the measurements. And
13 you can see that most teams actually ... you get the
14 pressure increase, roughly the correct peak pressure.

15 But then, over time, the ... the modelists
16 predict that the pressure start to declining. We are
17 seeing the measurement is kind of ... continues to
18 increase with time. If you look to the plot to the
19 right, so this is for the point located along the
20 bedding, only 2.5 meters from the borehole. Here we
21 can see that many teams, you predict the peak pressure
22 quite well, around 7, 8, megapascals.

1 And then you have a pressure decline as a
2 function of time that is also ... this kind of pressure
3 decline is quite well predicted. And this is more ...
4 it declines faster here because you are closer to the
5 tunnel that is held at anisotropic pressure. And also
6 the permeability and the horizontal direction is higher
7 because it's along the bedding.

8 And then you can see some deviations if you
9 look closer to the figure to the right, for example,
10 the red line ... the red dotted line, yeah, they
11 predict pressure increase when you get the heating, but
12 the starting point was a little bit different.

13 So this is ... this starting point is affected
14 by how you model the excavation of the tunnel. And
15 then they put in the heaters. So what is really the
16 permeability of the ... of this tunnel, I mean, and the
17 ... how does it work. And then this micro-tunnel is
18 connected to another tunnel, to the big, big tunnel.
19 So you have a flow along this borehole. So it's very
20 complicated, actually, to model this because you need
21 not only to model a host rock, but also the experiment
22 itself.

1 And then you measure the ... you measure this
2 pore pressure in boreholes that are kind of packed off,
3 maybe some section, and the ... maybe this is not
4 completely considered in the model simulations where we
5 maybe monitor the pore pressure in the point.

6 So what you can see also here, you can see the
7 blue line. So this is actually after the fact that the
8 one team, the Quintessa, did a model calibration to try
9 to match the pressure results. And what they did, so
10 they reduced the permeability of the host rock,
11 especially across the bedding. So then you get better
12 match to the pressure evolution on the figure to the
13 left. You can see this continuous increase in pore
14 pressure as a function of time.

15 Then they also had to ... in order to, at the
16 same time, simulate the thing to the right, they had
17 actually to include an excavation disturbed zone along
18 the borehole that extends a little bit on the two
19 sides. And this is something that they have seen it at
20 the ... at this ... at the Bure that you have this kind
21 of excavation disturbed zone that extends more in the
22 horizontal direction.

1 So that's why by considering such effects, you
2 may be able to better fit the values.

3 BAHR: This Jean Bahr. So that suggests to me
4 that the calibration exercise that the Quintessa group
5 did, revealed aspects of the system ...

6 RUTQVIST: Yeah.

7 BAHR: ... that were not accounted for in the
8 other models.

9 RUTQVIST: Yes.

10 BAHR: And so would that suggest that maybe
11 the other ... if the other models went back and
12 included those same effects, they would be a better
13 match?

14 RUTQVIST: They ...

15 BAHR: And do they ... do you do that when you
16 see that there are ...

17 RUTQVIST: We ... yeah.

18 BAHR: ... characteristics of the site that
19 haven't been adequately included?

20 RUTQVIST: Yeah, we did the ... some of the
21 teams actually did the trial very different. Many
22 different things to actually explain this. And this is

1 by Quintessa, they succeeded to fit, at least in these
2 points.

3 And so if other teams would use the
4 permeability and put in this kind of excavation
5 disturbed zone, you would ... we would get the better
6 fit matched to the data also, yes.

7 ILLANGASEKARE: Tissa Illangasekare. So
8 previous slide, so the conductivity ... generally in
9 your conduction equation you can capture these nicely
10 like you show earlier, but the spacing suggests that
11 the grid refinement is needed to capture this layering,
12 or that's what you are saying, that some ... if you
13 don't capture the layers, that isotropy to grid
14 refinement, the pressure cannot be matched or that's
15 what you are saying or ... not like if ... so basically
16 the Quintessa group, did they refine the grid ...

17 RUTQVIST: No.

18 ILLANGASEKARE: ... to make it smaller so
19 they could capture the interfaces? How do you get ...

20 RUTQVIST: No, there are no change in the grid
21 as far as I know. They just ... most importantly, you
22 reduce the permeability. Then you would be able to

1 match the ... that left thing better.

2 ILLANGASEKARE: The permeability of the whole
3 ... not the permeability of individual cells, they are
4 in the permeability of the whole system or ...

5 RUTQVIST: In the whole system. In the ...
6 around this ...

7 ILLANGASEKARE: Oh, I see. Yeah.

8 RUTQVIST: Around this, in the whole model
9 around this area. Yeah, yeah.

10 ILLANGASEKARE: I see. I see, so one
11 whole ...

12 RUTQVIST: So the, as I said, the original
13 permeability values was from another site calibrated.

14 ILLANGASEKARE: Yeah, yeah.

15 RUTQVIST: So this shows that you have some
16 spatial variability in the permeability over this site.

17 ILLANGASEKARE: Yeah, yeah.

18 RUTQVIST: And this kind of ... so then we can
19 identify this for ... and that kind of variability can
20 then be applied to ... when you do a long-term
21 prediction.

22 ILLANGASEKARE: Yeah. So that means that if

1 you go to ... veer off of that variable, then you had
2 to go to a smaller grid, so you are ... change the
3 permeability value from grid to grid. Is that correct?

4 RUTQVIST: Sure, we can ... yeah. We can
5 change the permeability at each grid point.

6 ILLANGASEKARE: Each grid point.

7 RUTQVIST: If you want. This was not done
8 here ...

9 ILLANGASEKARE: Done in this instance.

10 RUTQVIST: ... because we didn't see ... I
11 mean, that's another ... do we have any changes in
12 permeability because of some stress changes here, but I
13 ... I don't know. These are small stress changes; it's
14 not we create the fracture or ... in this case.

15 ILLANGASEKARE: No. Yeah, I'll have a
16 question later, follow up later. Thank you.

17 RUTQVIST: Mm-hmm.

18 TURINSKY: While we're talking about ... this
19 is Turinsky. Was change in permeability, would you
20 believe the value that they had to change it to, is it
21 within the range of expected values?

22 RUTQVIST: If the change in permeability is

1 ... how much to change the permeability?

2 TURINSKY: Yeah, yeah.

3 RUTQVIST: It's quite small, actually, because
4 I mean, here you increase the pressure slightly from
5 ... so I don't ... I forgot the number. Oh maybe, I
6 think the ... okay, they reduced the permeability by
7 one order of magnitude if I remember right. Which is
8 ... yeah.

9 TURINSKY: Isn't that a large change?

10 RUTQVIST: I mean, the permeability in the
11 rock can vary many, many orders of magnitude.

12 TURINSKY: Okay. I'm just wondering if
13 there's like a ...

14 RUTQVIST: Especially if it got fractured ...
15 a fractured rock or ...

16 TURINSKY: ... a fudge factor or ...

17 RUTQVIST: ... but for shale, of course,
18 maybe shale that's a substantial reduction, yeah.

19 BAHR: I see that Dave Sassani has a comment.

20 SASSANI: Thank you, Jean. Dave Sassani,
21 Sandia National Laboratories. I just wanted to add,
22 because this is an excellent example of the question

1 that Paul raised earlier regarding heterogeneity in the
2 geologic field. And what's really a big takeaway from
3 this, in my frame of mind is, what we try to focus on
4 are not so much the random heterogeneities in the host
5 rock. You want to do measurements in different
6 locations and find what is the range of behavior of
7 properties in the host rock so you can capture that
8 range of variability in your modeling. But if it's
9 random, you're not too concerned about it unless it's
10 doing something at ... as a scaling issue. But
11 generally, those random fluctuations, they average out
12 when you go to bigger and bigger scales. Systematic
13 heterogeneity in these systems is our focus in general,
14 and this is a case of two of those.

15 One is the systematic variability of the
16 thermal conductivity in the vertical versus the
17 horizontal, i.e., the layering direction. And so you
18 can see that effect here.

19 But the other is the introduced systematic
20 variability of the boreholes, the monitoring boreholes,
21 which are big impact, as well as the potential
22 disturbed rock zone around the borehole itself. And

1 those aspects, those are what we try to focus on
2 because they introduced these conceptually different
3 variabilities that are systematic in the system and can
4 lead to the differences that we're observing.

5 So I think Jonny's discussion way more spot-on
6 with the details of what's happening in those
7 variabilities in the change in the heterogeneity and
8 the variation and the thermal conductivity parameters.

9 But it's really these conceptual aspects that
10 we want to capture in the models to assess whether
11 they're important to performance of the system over the
12 geologic timeframe.

13 RUTQVIST: Okay. Yeah. So in this case as we
14 ... you have pressure changes up to about 8
15 megapascals. So these are not enough to actually ...
16 far from being able to create hydraulic fracturing
17 because the least, depends on a stress field here is
18 about ... I think it's about 15 megapascals or
19 something like that. So neither would need much
20 higher-pressure changes actually to cause fracturing.
21 And this is something they are studying currently,
22 where they try to heat more abruptly up to 100 degrees

1 C. And then actually to try to create a vertical
2 fracture to see ... to see how such ... if such a
3 fracture would be created when they increase the pore
4 pressure about this principle stress ... these
5 vertical stress, and whether this create a fracture and
6 whether this fracture will be sealing over time, after
7 the pressure is released.

8 So here they will put up ... temperatures up
9 to 100 degrees C. And we have five DECOVALEX 2023
10 teams ... modeling teams and models. And we compare
11 ... we will compare the temperature pressure, stress, I
12 mean, stress between the modeling teams and the
13 potential for fracturing. So this is ongoing. I will
14 not present any results on this.

15 So the summary of the Bure argillite modeling,
16 so the key parameters is the anisotropic thermal
17 conductivity and permeability to predict the pressure,
18 thermal and pressure responses.

19 And then important thermally, like fluid ...
20 fluid thermal expansion is very ... it's very, very
21 important. You need to consider that the ...
22 correctly, the temperature depends on the fluid thermal

1 expansion and, and you have solid thermal expansion of
2 the medium. And then you have some storage properties,
3 and tensile strength if you look ... going to look at
4 the potential for tensile fracturing.

5 So temperature and pressure can be predicted,
6 I think, more confidently than mechanical responses.
7 Nor, I didn't even show any mechanical responses
8 actually in this ALC experiment. They did, they had
9 one measurement in that borehole you saw that was some
10 ... in the figure were showing some pressure decline.
11 They had some mechanical extensor meters there, but
12 they just ... their measurements are not good enough
13 to, to actually do ... reliable they said. So they ...
14 we didn't do any comparison.

15 And the ... as I said, I think this maybe will
16 improve in the future where, where the fiberoptics ...
17 you can measure strain and maybe with better quality.
18 Yeah. You ... we can study the ... and quantify this
19 special variability of properties and this can then be
20 applied in, in a long-term simulation to mounding
21 predictions.

22 Then I want to go over to show some results

1 for modeling the long-term repository behavior. This
2 is the THM of the argillite barrier, and then the
3 impact on the near-field EDZ THM responses, and
4 finally, some new work on the impact of creep in the
5 argillite barrier, here looking at the ductile and more
6 brittle rock.

7 First looking at the ... this simulation
8 showing ... illustrates the evolution of THM over kind
9 of a repository scale. But this is conducted with a
10 repetitive symmetric model looking at ... could
11 represent the interior of a repository. You're looking
12 ... we're looking at one repository tunnel. We have
13 in place a heat-releasing waste package in place in the
14 bentonite buffer that is initially saturated at 60
15 percent when we apply a heat source, which is shown
16 there, below.

17 Looking on the temperature evolution up to the
18 right, so you have temperature on the vertical axis and
19 time, log time, on the horizontal axis. Looking at the
20 red, the temperature ... temperature curve, you can see
21 that you go up to about 91 degrees after about ...
22 after about 50 years. And so this is where you reach

1 the peak temperature and then it starts to decline
2 because you have the decline in the heat power input.

3 Then you look at the purple line, in the
4 temperature curve. You can see that temperature
5 increases here to about 65 degrees after about ...
6 happens after 1,000 or 2,000 years. This temperature
7 is much lower, it happens ... this is the point, 10
8 meters away from the tunnel. It more less represents
9 the overall temperature in the repository.

10 But as I will see ... show later, this peak
11 temperature is actually more important from the THM
12 viewpoint than the higher peak temperature in the other
13 waste canister because this kind of temperature
14 evolution, a peak temperature in the host rock actually
15 dries the thermal mechanical and thermal pressurization
16 effect in the repository.

17 Down below you can see the evolution of the
18 liquid saturation as a function of time. And the
19 important thing is when you do get full saturations.
20 In this case, you have, after 25 years, you have some
21 initially drying near the ... the waste package, but
22 after 25 years, you get the full saturation, and this

1 is when you have the full ... fully developed swelling
2 stress and fully developed support of the excavation
3 walls.

4 Then looking at the more coupled thermal ...
5 THM effects, so up on the top, you'll see the pressure
6 evolution, its function of time, and this is for one
7 point within the bentonite buffer and one point 10
8 meters away from the repository tunnel. You can see
9 the ... the pressure becomes similar and it's ... it is
10 caused by thermal pressurization in the host rock. You
11 reach a peak pressure after about 2,000 years. So this
12 is when the peak temperature in the host rock was
13 peaking.

14 So again, you'll see the importance of the
15 repository temperature evolution here. And this is
16 high pressure up to 8 megapascal, but not high enough
17 to cause hydraulic fracturing.

18 Then you can see the stress evolution down
19 below. This is the stress evolution, even in the
20 buffer, in the point V2. You can see the upper graph,
21 "Total stress" it says. That one is very well
22 correlated with the pore pressure evolution on top. So

1 this means that this kind of a stress evolution is
2 driven by this thermal pressurization. So very
3 important process, thermal pressurization here.

4 And then you see a graph that says, "Effective
5 stress." So the effective stress is equal to the
6 swelling stress in the buffer. So this is caused by
7 the swelling, and you see that this peaks at 5
8 megapascals, after about 25 years. So this when you
9 had full saturation in the buffer, and this provides
10 the mechanical support to the excavation wall. Then it
11 goes slightly down because of the cooling shrinkage.

12 So these are important to see this kind of a
13 ... how this happens in time. You want to have the
14 sufficient swelling in the bentonite buffer before you
15 get the maximum thermal peak stress in the system,
16 which is happening here. Maximum thermal peak stress,
17 you have 1,000 years. The buffer is already fully
18 saturated after 25 years.

19 BAHR: Jonny, this is Jean Bahr. Can you go
20 back just a second?

21 RUTQVIST: Okay.

22 BAHR: So what's happening at 10,000, 20,000

1 years when it starts to repressurize and the total
2 stress also starts to go back up?

3 RUTQVIST: Yeah. So what happens is first the
4 pressure goes down because you have a cooling. You
5 have a cooling and that cause kind of a negative
6 thermal pressurization. So it actually goes down below
7 the hydrostatic pressure at that depth because this is
8 located at 500 meters depth.

9 So the hydrostatic water column pressure would
10 be about 5 megapascal. So that's where it ... when it
11 goes to the far end, you get to 5 megapascal because
12 that's driven by the hydrostatic water column. But
13 temporarily at 20,000 years it goes down below that,
14 and that's because you have ... I think because you
15 have kind of a ... you have a cooling on the system,
16 you get the ... kind of a negative thermal
17 pressurization. You get the thermal depressurization,
18 I'm saying, yeah. Yeah. It's all ...

19 BAHR: So then it goes back up but it ... it's
20 hard to tell ...

21 RUTQVIST: Yep.

22 BAHR: ... whether it's going back up and

1 it's going to level out or is it ... continue to go
2 back?

3 RUTQVIST: Yes, it's going to level out at 5
4 ... about 5 megapascals because that's the water column
5 going from the ground surface. So ground surface you
6 have a constant pressure, and then you have the weight
7 of the water column going down to 500 meters depth. So
8 the ... that will be 5 ... around 5 megapascals for
9 water, which the density is 1,000 ... let's see ...
10 yeah, 1,000 kilo per cubic meter, right?

11 BAHR: Thank you.

12 RUTQVIST: Yeah.

13 Yes. So you saw this, again, I'll come back
14 to this again. You have this large-scale; you have
15 this temperature evolution in the repository results in
16 high pressure, shear stress, potential fracturing. So
17 that may then become the limiting factor in the ... in
18 the thermal management. So thermal management, often
19 that they look at the temperature in the bentonite or a
20 waste ... waste package sometimes have a limit of 100
21 degrees C, and sometimes maybe higher.

22 But actually this analysis shows that the

1 temperature in the host rock may be could ... need also
2 to be considered in the ... in that kind of thermal
3 management. And to reduce that temperature in the host
4 rock, you would have, for ... you could, for example,
5 increase the distance between the tunnels or increase
6 the distance between individual waste packages. That's
7 a part of the thermal management and design.

8 And those kind of large-scale stress changes
9 would also act on the tunnels. So if you're having
10 increase in horizontal stress, you can get stress
11 concentration on top of the tunnel that potentially
12 could lead to mechanical changes, and because I said,
13 these kind of things happen, peaks at 1,000 years after
14 the emplacement. So that means that this kind of near-
15 field effects could also happens.

16 But if you have developed the sufficient
17 swelling stress, you get ... you will have the
18 confinement against the tunnel wall structurally
19 prevent such a failure; this have been shown in
20 simulations. So it's important to have this supporting
21 buffer stress at that time.

22 Finally, I'm going to this graphic. It's not

1 come up as it should, but anyway.

2 So finally I'm going to show the ... some
3 simulation results on the long-term creep and the ...
4 so this graph shows the different kind of argillite or
5 shales in the world, and you have a diagram where you
6 look at the mineral content. You can see on the
7 bottom, you can see the clay content. So going from
8 zero to 100 percent if you go from the right to the
9 left.

10 And looking at the dashed line, so this is the
11 clay content about 30 percent. So this is ... has
12 been sometimes used to actually distinguish between
13 more brittle shale and more sealing shale. You can
14 identify the Opalinus Clay. These are the purple
15 squares. So these are far into the sealing shale
16 category. We can also see the COx clay, those are the
17 brown squares, those are little bit towards the middle,
18 but still in the sealing shale.

19 And then if you look at the ... up. Up,
20 you'll see the blue point, for example, up to the
21 right. So that's Barnett shale. So this is one ...
22 these are these kind of shales that are used for shale

1 gas production. And this is because these kind of
2 shales can actually be fractured and stimulated;
3 whereas, those sealing shales may not be easily
4 stimulated for ... for increasing the permeability for
5 production.

6 Yeah. And you may also look at the ... some
7 of the U.S. shales, the Pierre shale for example, those
8 are circles down there, the purple are very, very, very
9 high clay content. So it would be very sealing.

10 And then you have the ... those called the
11 Paleozoic Eastern Interior U.S.A., those are a little
12 bit more brittle, but still, they are in the category
13 of kind of sealing shale.

14 So what I'm going ... what we ... we did some
15 simulation, so long-term creep and we'll ... we used
16 the data from where we have some crosses called Caney
17 shale. So one white cross is within about 40 percent
18 ... 40 percent clay content and another is outside, is
19 about 20 percent clay content. So we ... there was
20 some existing laboratory tests there on the creep and
21 we implemented a creep model to actually simulate the
22 creep behavior and we did the ... applied that to a

1 repository simulation to see what happens. And because
2 in the previous simulation, we did not include the
3 creep, we used the elastoplastic model, but not with a
4 time dependent.

5 So you can see what happens here. So if you
6 look on the top, you have the one with the more brittle
7 shale. This is ... shows a contour plot after about
8 10,000 years. It shows the shear stress in the system.
9 And then you can see that you have shear stress
10 developed close to the tunnel. And this could actually
11 lead to damage that could be maybe permanent
12 permeability increase in theory at least in this case.
13 And then you look to the bottom, where you have the ...
14 what we call sealing clay, 40 percent clay content.

15 So in this simulation, we show that the stress
16 field becomes completely isotropic after 50 years. So
17 this means that the ... no creep, the deformation tends
18 to even to ... to even out any anisotropic stress would
19 be by creep. Deviatoric creep you would make stress
20 field completely isotropic over time. And this took
21 about 50 years, and after that you even get some
22 compaction of the tunnel and stress increase on the

1 buffer, so you get completely uniform stress fields, so
2 kind of a sealing.

3 So this actually shows ... this will be, I
4 think, very beneficial for ... for the isolation will
5 look more like a ... almost like a salt rock in terms
6 of sealing. So high clay content, we have soft high
7 creep and self-sealing.

8 To summarize, so repository coupled thermal-
9 hydromechanical processes can have a significant impact
10 on argillite barrier integrity.

11 If you are ... if you have too high thermal
12 pressurization, you can get fracturing or you can get
13 impact on the excavation disturbed zone and so on. So
14 this is something we try to learn more, but the ... but
15 this process is ... by modeling these kind of large-
16 scale field experiments, we can reduce the
17 uncertainties for this kind of a ... for modeling
18 argillite, and that will be useful when we do the long-
19 term prediction.

20 So field experiments in underground at the
21 research laboratory have been developed and designed to
22 study this phenomenon such as thermal pressurization

1 and fracturing. So then modeling of these experiments
2 provides confidence in the models applied when you
3 predict these for a repository.

4 You can use these modeling these experiments
5 by sensitivity studies. You can identify, you know,
6 uncertainties and actually quantify it also. And that
7 could be then applied in a ... for the long-term
8 analysis you may use Monte Carlo simulations and so on.

9 So the type of argillite, whether it ductile
10 or more brittle, could have a significant impact as I
11 show. If you have a more a brittle rock, you may have
12 a more ... if it's very brittle, you may have more
13 like a granite fractures, right? And then the question
14 is if that's ... if you have such a rock, that is more
15 like a granite, maybe this kind of model I'm using now
16 is not suitable. Maybe you will need kind of a
17 discreet fracture model or something to model the ...
18 at least for the migration and things like that, so ...
19 if it's very brittle, but I didn't see any ... such a
20 highly brittle rock.

21 So high, yeah, high temperature would cause a
22 strong ... could cause stronger thermal

1 pressurization, but could also accelerate creep if you
2 have a clay-rich shale, because the creep processes are
3 temperature-dependent. If you're high temperature,
4 you're accelerated. So that's good, especially near
5 their excavation walls.

6 And coupled THM modeling can be applied in the
7 thermal management repository design for ... so if you
8 perform such analyses, you may apply ... looking at
9 different uncertain sensitivity studies and make sure
10 that we are below the temperature changes that would
11 cause unwanted mechanical changes in the repository.

12 And that's my last slide.

13 BAHR: Okay. Thank you very much.

14 Do we have any questions from the virtual?

15 How about Board members? Paul has one, and
16 then I heard Lee and then Tissa.

17 TURINSKY: Okay. What about the weight of the
18 package? How does that influence ...

19 RUTQVIST: The weight.

20 TURINSKY: Yeah, the actual weight of the
21 package.

22 RUTQVIST: We have a, actually in the case of

1 salt, we actually looked at the ... like about the
2 potential for ... actually by creep, the waste package
3 would move down, the long-term creep.

4 But in the ... it's, of course, it's
5 included in model. We put in the weight of the waste
6 package ...

7 TURINSKY: Yeah, because it's going to impact
8 the stress field.

9 RUTQVIST: I mean, that ... that would be
10 impact locally, below the waste canister in the
11 bentonite buffer. You would have ... maybe some ...
12 the weight, yeah, would impact.

13 TURINSKY: Yeah, so have you done ...

14 RUTQVIST: But it's still ... I think it's
15 still small if you compare ... if it build up stress of
16 5 ... 5 megapascal, that's huge, I mean ...

17 TURINSKY: Yeah.

18 RUTQVIST: So

19 TURINSKY: Yeah, I'm just thinking direct
20 disposal in some of these very big packages.

21 RUTQVIST: Yeah. Oh, yeah. I mean, we ...
22 yeah. I mean, that may be something one should look at

1 ... also looking at the ... and maybe it has been
2 looked at. A potential for the ... if you have a
3 weight ... very high weight waste package in the
4 bentonite, whether that could move down with ... over
5 very long time with the creep.

6 TURINSKY: And ...

7 RUTQVIST: I know they looked at it. I
8 know, I ...

9 TURINSKY: Yeah, I'm thinking also cracking.

10 RUTQVIST: Yeah, yeah.

11 TURINSKY: The onset of cracking.

12 RUTQVIST: Yeah.

13 PEDDICORD: Yes. Lee Peddicord from the
14 Board. So on your very interesting ternary diagram,
15 say slide 24, as an example, it's kind of intriguing.
16 You know, we heard, I think from earlier, you know, the
17 boom clays in Belgium are fairly plastic. I think
18 Silly Putty was the description. Yet on this diagram,
19 it's fairly close to the Opalinus Clay in Switzerland.

20 So there ... is it correct to say there are
21 other factors that really go into determining the
22 properties of these materials and suitability or

1 behavior in a repository? I'm looking at the kind of
2 light green boxes ...

3 RUTQVIST: Yeah.

4 PEDDICORD: ... and the pink boxes, and their
5 relative proximity to each other in this diagram in
6 the, in the lower left.

7 RUTQVIST: Yeah. Yeah. You are right. I ...
8 I do not know what's the ... why this ... why the boom
9 clay has a ... yeah.

10 PEDDICORD: Yeah.

11 RUTQVIST: Maybe you have a ...

12 BAHR: I think Dave Sassani might be able
13 to ...

14 PEDDICORD: Dave is going to clear it up.

15 SASSANI: Dave Sassani, Sandia National
16 Laboratories. I'll make no promises yet. Wait.

17 But the one aspect we didn't talk about ... we
18 talked a bit about minerology of the clays, and then
19 clays' particle sizes. Bill did a really nice
20 introduction there. Another part are the ... the
21 various minerals that are in the clay. But then
22 there's also the geologic history of the material.

1 And so some of the ... and I can't speak to
2 these specifically, but when I saw the boom clay in ...
3 at Mol, it ... it's a ... it is a very unlithified
4 clay; it's young, it hasn't been ... my guess it has
5 not been buried very deeply or heated very much. And
6 so it hasn't undergone any hydrothermal processes or
7 any metamorphic processes. The more you heat it and
8 cook it, just like putting it in the kiln, when we ...
9 you know, you fire it. Well that happens at much lower
10 temperatures, but over much longer time scales.

11 And so you're metamorphosing these things.
12 You're lithifying them. The boom clay almost isn't
13 lithified, you know, it's on its way there, maybe in
14 another, you know, few million years if it gets buried,
15 whatever. But it's a much younger version and a much
16 less ... less driven version than some of these other
17 rocks.

18 PEDDICORD: So there's kind of another axis
19 here, history, that you would overlay on top of this.

20 SASSANI: Yes. Pressure temperature history.

21 PEDDICORD: Yeah.

22 SASSANI: Yeah.

1 PEDDICORD: And of course in our part of the
2 world, the Eagle Ford, it's brittle, it's good for
3 fracking, things like that.

4 SASSANI: Exactly. Yes.

5 PEDDICORD: Thank you.

6 ILLANGASEKARE: Yeah. So I want to sort of
7 continue the earlier discussion. So this question has
8 to do with the ... so when you are trying to ... seems
9 like that you said the ... one of the models you were
10 able to change the permeability and get it a little
11 better.

12 RUTQVIST: Mm-hmm. Yeah.

13 ILLANGASEKARE: So then the explanation was
14 that still not the spatial variability, but the average
15 permeability, it was sensitive. So in your ... in the
16 sensitive generality, does it show that in your model?
17 Did you do a sensitive generality to show in priority
18 that it is going to be sensitive to small changes in
19 permeability?

20 RUTQVIST: Yes. Also ... so the thermal
21 pressurization is very sensitive to permeability.

22 ILLANGASEKARE: I bet. Yeah, yeah.

1 RUTQVIST: So if you have a very high ...
2 highly permeable rock, you'll not get any, any change
3 in ... due to thermal.

4 ILLANGASEKARE: Yeah. Yeah.

5 RUTQVIST: So you have to ... to increase the
6 pore pressure, and then at the same time you have the
7 ... when you increase the pore pressure it tries to
8 flow away.

9 ILLANGASEKARE: Yeah. Yeah.

10 RUTQVIST: So you would tend to decrease it,
11 so it's ... yes, it's very sensitive to permeability.

12 BAHR: Following up on that, is ... are there
13 are sort of ranges of sensitivity? Is it ... is there
14 kind of a threshold at which it becomes important and
15 then below that value of permeability it's all pretty
16 much the same?

17 RUTQVIST: No. No.

18 BAHR: Or does it continue to change ...

19 RUTQVIST: Yeah. Yeah, I've done ... I didn't
20 ... I didn't really understand. So you're ...

21 BAHR: So under ... at some range of
22 permeability, you see almost no pressurization.

1 RUTQVIST: Yeah. Yeah.

2 BAHR: And then as you lower the permeability,
3 you start to see it be quite sensitive to permeability.

4 RUTQVIST: Yeah.

5 BAHR: As permeability decreases. Is there
6 some permeability lower limit of ... over which the
7 pressurization is about the same, even if you continue
8 to decrease permeability?

9 RUTQVIST: So you ... only if you have a
10 impermeable rock you will get the thermal
11 pressurization just by fluid thermal expansion. And
12 then it would stay ... would stay there.

13 And if you have a very highly permeable rock,
14 you cannot get ... it cannot ... you cannot get any
15 thermal pressurization because the fluid will diffuse
16 away from that area, so ...

17 BAHR: I'm thinking for some processes there's
18 sort of a narrow range in which the behavior is very
19 sensitive over some range of permeability, and outside
20 of that range, either above or below, it may make less
21 difference exactly what the permeability is.

22 RUTQVIST: I cannot define ... I don't think

1 there is such a threshold. I mean, there is a ...

2 BAHR: It's a continuous ...

3 RUTQVIST: I mean, yeah. I mean, of course if
4 you need to reach to a certain level of ... you need to
5 have a certain level of low permeability. I mean, it
6 should be where ... until you come to that limit you
7 will see no ... very, very little thermal
8 pressurization. But in this case, the rock is very low
9 permeability and so ... yeah. So ...

10 BAHR: Thank you.

11 RUTQVIST: Yeah.

12 ILLANGASEKARE: So continuing. So eventually
13 you had to go to large-scale simulation like you said.
14 You had to look at much larger rock, like in Figure 22.

15 So the question is that when you go to that
16 scale, then you had to deal with the ... more like the
17 structured heterogeneity, not the random heterogeneity,
18 but the heterogeneity of the ... of the larger-scale
19 heterogeneity.

20 RUTQVIST: So when you go to the repository
21 scale?

22 ILLANGASEKARE: Yeah, repository, okay.

1 RUTQVIST: Yeah. So then you go to the
2 repository scale.

3 ILLANGASEKARE: Yeah.

4 RUTQVIST: Yes, it's important where you have
5 the layer.

6 ILLANGASEKARE: Yeah.

7 RUTQVIST: But then you have ... next, what
8 you may have a permeable layer on top.

9 ILLANGASEKARE: Yeah. Yeah.

10 RUTQVIST: And it's very important to include
11 that.

12 ILLANGASEKARE: Yeah.

13 RUTQVIST: Because that actually helped to
14 relieve the ... these pressure changes.

15 ILLANGASEKARE: Yeah. Yeah.

16 RUTQVIST: So if the shale layer where you are
17 in is very thin, and then you have a permeable layer
18 next to it.

19 ILLANGASEKARE: Yeah. Yeah.

20 RUTQVIST: You will not ... you will get much
21 less thermal pressurization. So that ... that's
22 important to include those ...

1 ILLANGASEKARE: Yeah. So then my question,
2 and you ...

3 RUTQVIST: And you may also have stratigraphy
4 within the ...

5 ILLANGASEKARE: Yeah. Yeah.

6 RUTQVIST: Within the formation itself.

7 ILLANGASEKARE: Yeah.

8 RUTQVIST: So that ... we did not include it.
9 I mean, we didn't ... we don't include ... in this
10 model we used homogenous anisotropic properties.

11 ILLANGASEKARE: Yeah, yeah. So that means
12 that ... I'm thinking more in terms of upscaling
13 theory. So if you ... you'll never be able to capture
14 the heterogeneity at the larger scale. Any
15 measurement, it has to be somewhat determined
16 indirectly.

17 So if that is the case, there are two
18 approaches: one needs to ... develop upscaling
19 theories so that you can get your ... some effective
20 parameters of that scale. Or, if you know exactly
21 where these layers are, then you can do the grids
22 itself to look at those transitions.

1 So yours seems like your approach is ... seems
2 to be you are getting into more looking at the
3 structured layer than going to the grids, doing this
4 upscaling. Is that ... not upscaling ...

5 RUTQVIST: Yep. I'm sure at the real site,
6 they will have ... we'll have to consider those layers
7 and stratigraphy and ... yeah, where you have it.

8 ILLANGASEKARE: Yeah. So next question is
9 that in this research I ... we heard that ... we talk
10 about scaling, but you are looking at multi-scaling.
11 But basically the work you are doing in these
12 experiments is one scale, then the 3D larger scale. So
13 I'm sort of proponent on the side of intermediate
14 scale.

15 RUTQVIST: Mm-hmm.

16 ILLANGASEKARE: So there will be some testing
17 you may need at the intermediate scale too, because you
18 kind of jumped from that scale to the field scale. Do
19 you have something either modeling or some experiment
20 where you look at this scale?

21 RUTQVIST: So I mean, for ... in this
22 particular case, we actually started with the

1 properties determined at the lab scale, kind of.

2 ILLANGASEKARE: Yeah.

3 RUTQVIST: I mean ... or what they had, the
4 ... what they had at their ... at that site in Bure and
5 where they'll do a ... I've done a lot of large-scale
6 tests.

7 ILLANGASEKARE: Yeah.

8 RUTQVIST: And then we apply those properties
9 to that previous experiment.

10 ILLANGASEKARE: Yeah.

11 RUTQVIST: What I called HD experiment. So
12 the ... I mean, like thermal conductivity is almost the
13 same.

14 ILLANGASEKARE: Yeah, yeah. That talk ...
15 okay, yeah.

16 RUTQVIST: And the ... yeah, and the
17 permeability of the matrix.

18 ILLANGASEKARE: Yeah.

19 RUTQVIST: But maybe ... but then you have the
20 bedding planes and things like that that impacts.

21 ILLANGASEKARE: Yeah.

22 RUTQVIST: That is important. I don't think

1 it's ... I think it's maybe slightly easier to upscale
2 in this kind of medium compared to a granite, for
3 example, in granite.

4 ILLANGASEKARE: Yeah, yeah.

5 RUTQVIST: Where you have fractures and ...

6 ILLANGASEKARE: So your thinking is that when
7 you upscale this problem, because we'll have enough
8 computing power to get these layers into your model and
9 the stratifications and isotropy into the model itself,
10 without looking for parameters at that scale. You
11 could have all the constitutive models aside, they will
12 have ... going to be on a smaller ... smaller lab
13 scale.

14 RUTQVIST: Yeah. But we did apply those
15 constitutive models on this scale when ...

16 ILLANGASEKARE: Yeah.

17 RUTQVIST: Right. Yeah, so ...

18 ILLANGASEKARE: Well that, that scale
19 constitutive ... yeah.

20 RUTQVIST: I mean we have our mechanical
21 constitutive model, for example, or the other models
22 for thermal conductivity and so on, but ...

1 ILLANGASEKARE: Yeah.

2 RUTQVIST: Yeah. We ...

3 ILLANGASEKARE: Yeah. The thermal conductor,
4 I wouldn't worry. I'm more worried about flow and
5 permeability.

6 RUTQVIST: Permeability.

7 ILLANGASEKARE: Yeah. Thermal conductor,
8 I'm ...

9 RUTQVIST: I mean, in this case we used the
10 simple anisotropic permeability model.

11 ILLANGASEKARE: Yeah, yeah.

12 RUTQVIST: And we have ... and that, maybe,
13 it's difficult to ... yeah, I agree, maybe that's
14 difficult to determine from large-scale tests for this.

15 ILLANGASEKARE: Yeah. So okay, yeah.

16 RUTQVIST: Even for this case, yeah.

17 ILLANGASEKARE: So these ... so my point I'm
18 trying to make is that I think you need to have some
19 intermediate scale between the field and the lab scale.

20 RUTQVIST: Yeah.

21 ILLANGASEKARE: Because some of the work I'm
22 doing is showing ...

1 RUTQVIST: Yeah. Would that be a smaller
2 scale field experiments? Or block scale experiments?

3 ILLANGASEKARE: Yeah, block scale experiment.

4 RUTQVIST: Yeah. Yeah, that would be used for
5 the ... yeah, yeah.

6 ILLANGASEKARE: Block scale and meter ...
7 meter scale.

8 RUTQVIST: Block scale experiments where we
9 can control the ...

10 ILLANGASEKARE: Yeah. Yeah, yeah, yeah.

11 RUTQVIST: Control the block manipulations.

12 ILLANGASEKARE: Yeah. Yeah, that's my point.

13 RUTQVIST: Yeah.

14 ILLANGASEKARE: Thank you very much.

15 BAHR: Are there any questions from the staff?
16 Yes, Chandrika.

17 MANEPALLY: Chandrika Manepally, Board Staff.
18 Jonny, thank you for the nice presentation. I have a
19 couple of questions for you. First one was on Slide 8
20 you indicated that you started working on improving
21 your numerical that is the TOUGHFLAC model of ... since
22 2011.

1 So I just want you to take a look back on the
2 history since 2011. All there improvements that you
3 have made, and all they tasks that you've been involved
4 with in DECOVALEX, what do you think are like the main
5 accomplishments? Like you are able to better predict
6 your pore pressures.

7 RUTQVIST: Yeah.

8 MANEPALLY: And if so, I ... so can you kind
9 of just give us a gist of all the activities in a
10 historical perspective?

11 RUTQVIST: Sure. So the first thing we did
12 ... so I have ... I mean, so the first thing we did was
13 actually to develop the bentonite model. So before we
14 have a just very simple modeling of the swelling using
15 just as the function of saturation and no real ... so
16 then we implemented the ... we implemented the ... we
17 started with different models, the straight surface
18 model, and also the Barcelona basic model.

19 MANEPALLY: Mm-hmm.

20 RUTQVIST: So that's a model that can model
21 the bentonite behavior to consider the effects of a ...
22 when you have a ... for example, when you have a dry

1 bentonite, it's very stiff. And, and it's also high
2 ... strength is very high, you know, in the clay, like,
3 stiff, then the dry is very high. Very ... it just
4 becomes wet; it becomes very soft and ... and weak.

5 So this is considered that ... this can be
6 considered in that basic Barcelona model. So that,
7 that we ... we did a lot for ... and modeling of the
8 bentonite behavior and even got to more complicated
9 model where we have the Barcelona expansive model.

10 MANEPALLY: Mm-hmm.

11 RUTQVIST: Where they consider dual structures
12 in the bentonite, and that model actually has a lot of
13 parameters, like, too many parameters.

14 MANEPALLY: Yes.

15 RUTQVIST: So it's very ... yeah.

16 MANEPALLY: So I guess my point was, what is
17 that improving? You're able to better predict your
18 temperatures, you're more closer to what was measured
19 by what ... all your pore pressures, you were off
20 before by 30 percent.

21 RUTQVIST: Yeah.

22 MANEPALLY: Now because you implemented all

1 these improvements in your numerical code, now you are
2 much more closer to the answer. So that is the kind of
3 feel that I'm trying to get at, like ...

4 RUTQVIST: Yeah, yeah.

5 MANEPALLY: And this goes to the one that Jean
6 was asking in the morning.

7 RUTQVIST: Mm-hmm.

8 MANEPALLY: You've been working on this area
9 for almost 11 years, 12 years now at '22, 2022.

10 RUTQVIST: Yeah.

11 MANEPALLY: So what are the ... what are the
12 key insights or key improvements that you've made?

13 RUTQVIST: Yeah. The bentonite model, this
14 ... well using that we could fit the laboratory data
15 much better. Some of the data. And for the argillite,
16 I mean, argillite model we ... for the ... for the, I
17 mean, we ... when we started in this, within our time
18 on isotropic thermal conductivity model, and
19 anisotropic permeability, even in the tough to code,
20 this is a finite volume model, and it's not easy
21 actually to model anisotropic behavior. So we had to
22 actually ... sometimes we used the ... we had to orient

1 the mesh along the beddings to actually model that
2 correctly.

3 So this is something, I mean, without ...
4 including these kind of features into the model, we
5 could not ... we could not match any data on
6 temperature or pore pressure, actually, without
7 including the anisotropic effects on temperature and
8 ... for thermal and ... and the permeability.

9 And then for the mechanical models, we are
10 using actually an existing constitutive model in FLAC3D
11 for the ... for the mechanical and isotropy that is
12 kind of developed for ... orthotropic model developed
13 for modeling of this kind of layer formations.

14 And it's ... that one, yeah, that one we use
15 as a ... it's not ... that's for the mechanical changes
16 and we don't ... we don't actually have a lot of good
17 mechanical data.

18 MANEPALLY: Right.

19 RUTQVIST: So that's something that we want
20 ... I want to have more mechanical data, that's my main
21 point.

22 MANEPALLY: Right.

1 RUTQVIST: And that's also ... okay, now we
2 look at the temperature and pressure, but then what is
3 the consequences on the stress field?

4 MANEPALLY: Mm-hmm.

5 RUTQVIST: So ... we want to have a ... if we
6 can measure the changes in the stress field, and if you
7 can measure the deformations more accurately and over
8 longer term. So that's also important, too, if you
9 want to look at the time dependent effects, like the
10 mechanical creep behavior and so on.

11 So these are the thing that always ...
12 throughout. Also, I remember in the Yucca Mountain
13 Project, the mechanical measurements were ... had some
14 problems.

15 MANEPALLY: Right. So this lack of
16 geomechanically data is because of lack of development
17 in sensors? Or it's just an issue about these tests
18 are not able to, you know, have as many thermocouples
19 as geomechanical sensors? What is the issue about
20 getting this data?

21 RUTQVIST: I think, yeah, I think this maybe
22 sensors. So temperature you can measure in a point

1 very easily. Pore pressure you have to maybe back off
2 a section and that's complicated, but ... and then
3 mechanics. Sometimes they use these in a borehole
4 extension meter, maybe they're in there with anchors
5 and then sometimes these anchors slip.

6 MANEPALLY: Mm-hmm.

7 RUTQVIST: And then the high temperature is
8 ... they're all impacted by high temperature, also. So
9 sometimes they don't get reliable measurements. They,
10 also when they try to measure stress in the bentonite
11 buffer, sometimes they ... they don't get very good
12 data of the swelling stress.

13 MANEPALLY: Okay.

14 RUTQVIST: So that's something from my
15 viewpoint I would like to have more data on. On the
16 mechanical response. So ... but now with the
17 fiberoptics, I think that we are going to get better
18 data because then they can measure, you know, very
19 detailed, the strain, and should be some improvement
20 there, I think.

21 MANEPALLY: Okay. Thank you.

22 RUTQVIST: I'm not an expert in measurement,

1 by the way, so ...

2 MANEPALLY: No, that's okay.

3 BAHR: Okay. Well we're at time for a break
4 now. So thank you, Jonny.

5 And if other people have questions for him,
6 maybe they can catch him during the break. And we will
7 reconvene at 2:45, Eastern Time. So that's about 12
8 minutes from now.

9 (Session break.)

10 BAHR: Welcome back from our break. And
11 before the break we were focusing on the argillite host
12 rock itself, and now, we're going to be ... the next
13 two talks are going to look at the engineered barriers
14 that might be constructed from bentonite in ... and how
15 they function in an argillite host rock setting.

16 And so the first speaker is Ed Matteo from
17 Sandia National Labs, and I'll turn it over to him.

18 MATTEO: Thank you, Jean. I'm Ed Matteo, I'm
19 the engineered barrier systems work package manager and
20 technical lead at Sandia National Labs. And I'm going
21 to talk today about ... give an overview of the
22 engineered barrier system, both discussing the function

1 and design aspects for an argillite host rock.

2 As we've discussed at length, I'd say, or at
3 least touched on this morning, there's ... argillites
4 are a broad rock category, and we've had some
5 discussion about sealing versus brittle, and Jonny went
6 through a nice detail of this ternary diagram, which
7 illustrates where we draw that dividing line at the one
8 third; that dash line that we see in the figure.

9 I don't think I need to add too much to this
10 other than to say that a lot of the host rocks that we
11 talk about fall into the sealing category, which I
12 think was already mentioned.

13 In terms of, from a design standpoint, we
14 could say that the ... in argillites, especially in the
15 sealing types, we place a high reliance on the natural
16 system, because it's a diffusion-dominated system, and
17 also because it's reducing, we expect slow migration of
18 the radionuclides.

19 That said, because the natural system retards
20 migration so much, we do have a scenario where we have
21 effective transport, say, via the EDZ or some other
22 failure in the seal system itself.

1 So, the EBS design will be a function both of
2 the inventory and the geologic setting. A key
3 parameter of the inventory will be the thermal output.
4 This has a significant impact on the layout of the
5 repository, and it's typically one of the earlier
6 parameters that we want to get a handle on in the
7 preliminary design phase.

8 The geologic setting will determine the
9 chemical and mechanical environment that we're working
10 in, and there's several engineering decisions that need
11 to be made in the design process. One is the
12 constructability, how will we construct the repository,
13 can we construct the repository, and then the
14 emplacement, as I mentioned, is a critical aspect
15 taking into account the thermal output of the waste
16 packages; it will determine the spacing.

17 And then we have other questions about
18 emplacement where we use a vertical versus horizontal
19 emplacement, and then what materials will we use. In
20 an argillite repository, there are questions like,
21 well, will we use pelletized or compacted bentonite, or
22 some sort of prefabricated engineered barrier.

1 And then there's material selection. What
2 will we select for the overpack? If we're in a sealing
3 shale, for example, we ... we wouldn't necessarily need
4 a corrosion allowance material, we would just go with
5 what we had. But if we were in a brittle shale, as was
6 discussed, it would ... which would look more like a
7 crystalline repository, we might be employing the use
8 of a corrosion allowance material.

9 And then there's all these operational safety
10 aspects to the EBS, like ground support to keep the
11 excavations open.

12 This is just to give you an idea of the
13 multitude of design options we have to choose from. I
14 don't need to go through each one of these items, but
15 it's something you could look at, at a later time if
16 you wanted, or just pick out some key points here of,
17 we have the waste canister design decisions there,
18 waste package, including the overpack. Do we have a
19 long containment lifetime, as would be in a brittle
20 shale or are we looking at a short containment lifetime
21 where we would have a different set of material
22 selection. And then of course as I mentioned, the

1 emplacement mode and other elements.

2 So, the argillite type will have a big impact
3 on the design. So we discussed the sealing versus
4 brittle. Another thing that also came up in the
5 questions was the mechanical properties, and that is a
6 function of the degree of induration, and I think this
7 also came up, the burial history of the formation.

8 And so, you know, you could have two sealing
9 shales, and I think this also came up, the Callovo-
10 Oxfordian or the Opalinus and the Boom clay are all ...
11 would all fall into that part of the ternary diagram,
12 what we would call sealing clays, but they have very
13 different mechanical properties, and as such, the
14 designs are drastically different.

15 So, in the ... the French concept, for
16 example, which you have a more indurated, competent
17 clay, you ... you would use a bentonite buffer, and as
18 Jonny explained really well, how it provides mechanical
19 stability over the long term. But in the Belgian
20 concept, where you're in a Boom clay, you actually have
21 a cementitious buffer, you could say, the super
22 container concept, where you don't employ bentonite

1 clay, but rather you need some ... you need a buffer
2 with more mechanical integrity to account for the very
3 plastic nature of that clay.

4 Another thing, we talked a little bit about
5 heterogeneity. So even within the Callovo-Oxfordian,
6 for example, you know, the upper COx has much different
7 mechanical properties, or different mechanical
8 properties, so there is that ... there is vertical
9 heterogeneity in that formation. And an example of
10 this is, you know, in the design, the shotcrete would
11 be removed in the upper COx because you don't need it
12 for the long-term mechanical integrity, whereas in the
13 lower sections, it would be left in place.

14 So now I'm going to go through all of the EBS
15 system components. We have the waste form, we have the
16 waste canister and overpack, buffer/backfill, drift
17 seals, which could be the access seals and the
18 emplacement seals, shaft seals. And these together
19 create what we call the seal system, or the
20 geotechnical seals. And then we have the ground
21 support, which could be the liner, the rock bolts, et
22 cetera. And then we have the EDZ or the DRZ.

1 And you know, an important thing to note here
2 is that the seal system or the geotechnical seals have
3 to take into account the existence and the interplay
4 that could occur between the EBS and the EDZ. This is
5 just a blow-up picture of what I just said in words, it
6 just illustrates the different components of the
7 engineered barrier system, and it also has some of the
8 natural system on it. And then, in the dash line, you
9 see the disturbed rock zone, or the DRZ.

10 So, the EDZ explicitly needs to be taken into
11 account in the design. And typically in these drift
12 seal closures you'll have these breakouts or water
13 stops, as they're sometimes called, and this is
14 illustrated here.

15 You'll have varying elements, you'll have a
16 shock; for example, you could have a shotcrete
17 containment plug, and then a clay swelling core within
18 the closure, but you have these breakout areas which
19 are pointed out in this figure, and those account for
20 that excavation damage zone.

21 Jonny described this really well, so I don't
22 need to go into a lot of detail on it, but you know,

1 these would ... these design elements could help arrest
2 any advective flow pathways that might develop along
3 that EDZ. And of course, in a sealing shale, of course
4 we would expect that those defects, that damaged zone,
5 would heal over time.

6 The shaft seal also needs to take into account
7 the EDZ and will have different breakout zones and
8 water stops incorporated into the design. So here we
9 have what is considered sort of the state of the art
10 for shaft seal design, which is the WIPP Shaft Seal
11 Design; it's a multi-barrier concept, and it has
12 alternating layers. You can have cementitious plugs,
13 compacted swelling clays, some salt backfill, and then
14 you have these asphalt water stops incorporated into
15 it. And then, again, it has to account for the EDZ in
16 the shaft seal as well.

17 Cement liners. So, these primarily will
18 provide ground support, especially in a weaker system
19 where you have a less competent rock. So in a
20 crystalline formation, for example, you would not
21 typically need a cement liner, but in most argillites,
22 you do.

1 So one problematic aspect of having this
2 design feature are some of the unknowns that get
3 introduced. So cementitious materials, we don't have
4 as much confidence in their ... you know, long term, or
5 on the geologic scale of their long-term behavior.
6 These are materials that can degrade and crack and most
7 importantly, allow for the development of preferential
8 flow pathways, just adjacent to the EDZ, or even worse,
9 work with the EDZ to create some kind of preferential
10 flow pathway.

11 We are also talking about an environment where
12 there's a lot of heat generated from the waste package.
13 So we expect, and I think Jonny showed this pretty
14 well, you know, as long as that thermal period is
15 lasting, there's going to be an intense dry-out in the
16 near-field environment in the buffer and surrounding
17 rock, well into the EDZ and beyond.

18 And cements are normally saturated materials,
19 so we're not exactly sure how they will behave under
20 those conditions as well. One ... one remedy for this
21 concern would be fiber reinforcement, and these could
22 be glass fibers or metal fibers, or some other material

1 that would arrest the crack development.

2 There's also a chemical effect that we would
3 be concerned about with these materials. In the Yucca
4 Mountain, this arose. The alkalinity that would be
5 contributed to the system from the cement matrix
6 itself, there's a lot of concern what this would do to
7 colloid formation and transport of radionuclides.

8 So one of the developments during Yucca
9 Mountain was these low pH cements, which, really are
10 not low pH at all, they're just lower pH cement. In
11 actuality, they ... you know, a typical cement would
12 have a pore solution above pH 13, and these low, low pH
13 cements would be in the neighborhood of 10 to 11.

14 One other issue related to these cementitious
15 materials would be the sourcing and/or variability of
16 the materials. We see already a push for a low CO₂
17 material, especially cement being a rather carbon
18 intense material. So it's not clear if the sourcing
19 that's available today would be available at some
20 future date.

21 This was a big lesson learned during WIPP when
22 they had developed an expansive concrete for grouting

1 and plugging, only to find that the company that
2 produced the expansive agent went out of business.

3 Moving onto the buffer and backfill. As I
4 mentioned, these could be bentonite, or as in the
5 Belgian concept, cement. And Jonny kind of covered
6 this, but I can kind of reiterate it now, can extend
7 the waste package lifetime, and can ... and can secure
8 the package in emplacement, which should help couple
9 the thermal conductivity to ... to the surrounding
10 rock.

11 And in the case of bentonite, this is a
12 functional barrier, right, that will swell to fill any
13 gaps, and will retain the cationic species. And
14 lastly, it can deter microbial activity, which could
15 have some unwanted contribution to the near-field
16 geochemistry.

17 So the ... if we're talking about a bentonite
18 buffer would be self-healing, similar properties to the
19 host medium, assuming that's a sealing clay. It has a
20 proven durability and robustness in a geologic
21 environment, right, we have clay formations that are
22 hundreds of millions of years old. We know that

1 they're very stable over the very long-time scale that
2 we're talking about in a repository.

3 Very low permeability, resulting in a
4 diffusion-dominated system. Of course, there are
5 concerns of fracture or channeling, in a more brittle
6 case where we talked about it may resemble more of a
7 crystalline, and then you have to worry about things
8 like erosion possibly also.

9 And swelling behavior, retention of cationic
10 radionuclides, and then there's, as I mentioned, some
11 crosscuts between argillite and crystalline because of
12 some of these similar issues between bentonite in both
13 cases.

14 So one area of particular interest are high
15 temperature effects, and we have a range of lab- and
16 field-scale tests. We're going to hear, I believe
17 tomorrow, from LianGe about the HotBent test to
18 characterize the behavior.

19 Typically, there's a limit of 100 degrees C in
20 a clay ... in a bentonite buffer, because then we'd go
21 over the boiling temperature for water. And so, there
22 are a lot of tests to see what ... what would happen if

1 we did exceed those temperatures. What would be the
2 effect on the swelling properties, for example, or what
3 would be the effect on the radionuclide retention?

4 Another area that is a fertile area to explore
5 is, can we tune the thermal conductivity of the
6 bentonite buffer? Are there materials that could be
7 added? Graphite is one that has been suggested to
8 improve the thermal conductivity, and more efficiently
9 conduct heat away from the waste package and reduce the
10 peak temperature of the waste package surface and
11 beyond.

12 And then there's a lot of interest in using
13 pelletized bentonite in the buffer because of the ease
14 of emplacement. It's quite an involved operation to
15 use compacted bentonite to fit the pieces together, so
16 to speak, in an engineering sense, and when we have
17 thousands of waste packages using some sort of augured
18 system, which has a little bit more automation to the
19 emplacement, it's quite an attractive option.

20 So that brings up the question of
21 homogenization. So this is ... how does that ... over
22 time, how do the spaces or intricacies between the

1 blocks or the pellets, how do they come back together?
2 What's the rate, and how well do they ... do they heal?

3 And there are several crosscuts with the NEUP
4 Program, the Nuclear Energy University Partnerships.
5 On the right of the slide here, we have some results
6 from one of these projects in the Lab of Marcelo
7 Sanchez at Texas A&M, where we're looking at the
8 effects of temperature on swelling pressure, and we're
9 actually first ... first off, we're looking at the
10 swelling pressure of compacted bentonite versus
11 pelletized mix. So we have swelling pressure on the Y-
12 axis, and then time, and you can see the evolution over
13 time.

14 In the lower figure, looking at thermal
15 conductivity of a pure pelletized mixture, and then a
16 mixture that is ... has graphite added to it to try and
17 improve the thermal conductivity, which apparently, it
18 works pretty well. There are some pictures of the
19 apparatuses here.

20 Dry-out and re-saturation damage is another
21 emerging area. What is going to happen to the
22 bentonite during the thermal period? We expect that

1 cracks could form, and understanding the extent and the
2 rate at which this happens, and how these cracks behave
3 in the re-saturation period, could be an important
4 investigation.

5 And also, gas flow through bentonite when the
6 ... before re-saturation, both channeling and
7 fracturing, and again, when the clay re-saturates, how
8 will these features evolve over time?

9 Buffer erosion, again, for a brittle
10 argillite, this is an important topic in crystalline
11 repository design. There's concern that the ... with
12 the ... with effective transport by fracture networks
13 that buffer material could actually erode and be
14 carried away and create effective transport through the
15 buffer region.

16 Another area of interest is, can we add getter
17 materials. You know, the bentonite buffer does a
18 really good job of trapping cationic radionuclides, but
19 we know that anionic species, which typically don't
20 interact with any of the engineered barriers, or many
21 of the host materials, drive the performance.

22 So, Iodine-129, is one of these materials.

1 So, there is active research in looking at anionic sort
2 of materials that would trap things like I-129, and
3 then thus, give us another knob to turn in the ... in
4 the engineered design space.

5 The waste form, we have a set ... a set of
6 fixed characteristics that we basically inherit in the
7 design space, right, we have the radionuclide
8 inventories, the thermal output, the materials within
9 it, the cladding, and then even the things like
10 criticality and other aspects, the in-package
11 chemistry. These are things that are all inherited and
12 have to be taken into account in the repository design,
13 and can have effects on the EBS.

14 The waste package itself, again, we could use
15 ... we imagine for sealing shale, you would just use,
16 like, a steel canister, because you're putting that
17 high reliance on the host itself. We don't ... we
18 don't spend the extra money, so to speak, on a long-
19 lived canister; whereas, in a brittle shale, again,
20 behaving a little bit more like a crystal repository,
21 you would have ... you would want some sort of long-
22 lived overpack material that would allow you to put

1 more emphasis on the waste package itself.

2 Multi-purpose canisters present some
3 interesting design challenges, DPCs are a good example.
4 A higher thermal output is a big challenge, which, as
5 you'll hear about with HotBENT, and needs to be taken
6 into account.

7 We also ... you know, a question came up about
8 the weight of the package. Heavy packages introduce
9 all sorts of engineering challenges. Just getting them
10 into the underground, you know, they're ... you would
11 need, in certain repository concepts, you'd have to ...
12 the operational constraints of getting a really heavy
13 waste package need to be taken into consideration.

14 And then corrosion rates are always kind of a
15 big question mark. They're very sensitive to the
16 material, and to ... to the ... the ground water that
17 we have. In a generic mode this is harder to get a
18 handle on, but it's ... it's another aspect worthy of
19 consideration.

20 So one thing to mention here is, how do all
21 these engineered elements tie together with ... with
22 the buffer, for example? So, the material that you'd

1 have on your waste package, for example, if it
2 corrodes, you would get some kind of secondary
3 mineralization.

4 And so, it won't necessarily directly affect
5 the buffer, but you'd have this interplay between ...
6 at the interface of the waste package and the buffer.
7 And in general, there's always questions about how the
8 near field of geochemistry is going to evolve as all
9 the engineered materials degrade over time, and we'll
10 hear more about that in the next talk, I believe.

11 So as Chris Camphouse spoke to you earlier
12 this morning, and obviously Jonny spoke to you as well,
13 the international field tests are very important. Both
14 for proof of concept, not only for the modeling
15 capability, but for things like emplacement, some of
16 the operational aspects.

17 But they also give this opportunity to improve
18 understanding of complex processes. I think Jonny's
19 talk illustrated this really well, how process model
20 development happens from the ground up when you have a
21 set of ... of data from underground field tests, you
22 know, there will ... as Jonny illustrated, you know,

1 the thermal aspects could be captured quite well, but
2 the mechanical leaves something to develop, which tells
3 us, what we need to develop better process models, and
4 I think Jonny indicated that. What type of data he ...
5 we would need to further improve the mechanical
6 modeling at the process level.

7 And then there's, you know, this critical data
8 to understand, you know, in the computational
9 representation, to what degree are we abstracting the
10 processes, and to what degree is that okay, and to what
11 degree do we need to improve that representation
12 overall. And of course the performance assessment can
13 help us make that decision because we can understand
14 which processes or parameters the performance
15 assessment are most sensitive to.

16 So, for the Full-Scale Heater Test at Mont
17 Terri, for example, it provides this platform, where we
18 can understand the processes in the near field,
19 especially the waste package, the bentonite buffer, and
20 the host.

21 And so, again, the individual bentonite, for
22 example, which is of primary concern in this meeting,

1 is one piece of the puzzle, but it's really hard to
2 just separate out each engineered barrier system
3 component, because both the chemistry and the mechanics
4 will be part and parcel of the entire system.

5 So to conclude, the design concept will
6 include a preliminary EBS design. This is determined
7 from the geologic setting and inventory. As has been
8 said many times, argillite is quite a broad rock type,
9 both the chemical and the mechanical characteristics
10 can vary. The varying characteristics of the waste,
11 differences in thermal loads, for example, can drive
12 differences in the EBS design.

13 And I think that concludes my talk. Thanks.

14 BAHR: Thank you, Ed.

15 I think we have a good amount of time for
16 questions at this point. Do we have any from the ...
17 yes, Allen.

18 CROFF: Croff, Board. On your Slide 11, you
19 had a bullet, "Helps conduct heat away from the waste
20 package." I sort of had an impression that bentonite
21 tended to be more of an insulator. Could you elaborate
22 on that bullet as to sort of how that comes about?

1 MATTEO: Well if you had air there, for ... I
2 mean, relative to nothing, to a void, it will help
3 conduct heat away.

4 CROFF: I certainly agree with that, but if
5 your argillite is sealing, I can't see air staying
6 there for very long.

7 MATTEO: Sure, eventually. But yeah, there
8 would be aspects, you know, as Jonny mentioned, you
9 need to understand that you wouldn't want ...
10 necessarily want that formation to just crush onto the
11 waste package, right? Because you wouldn't be able to
12 control the impingement. You could get point loading
13 on the waste canister and fail it before you wanted it
14 to. The buffer allows you to distribute it ...
15 distribute that load from the subsidence evenly over
16 the waste package and not unnecessarily damage or
17 puncture or perforate the waste canister.

18 CROFF: Okay, thanks.

19 PEDDICORD: I have a follow on to that.

20 BAHR: Lee, go ahead.

21 PEDDICORD: Lee Peddicord with the Board. So
22 a bit of a follow on to that. That at Mont Terri, the

1 Swiss were looking at a rather intricate and
2 sophisticated system of augers to emplace bentonite
3 particles around the package. And as ... if I
4 understand correctly, that had kind of raised some
5 issues in their mind in terms of getting all the way
6 into the drift and sufficiently filling it, and then
7 the reproducibility.

8 So a couple of questions come out of that.
9 One is do you all feel that you can get sufficient
10 reproducibility with this process and the variations it
11 might lead to, does it make any difference, or how much
12 difference or can you characterize it?

13 And I don't recall if they had decided this is
14 now NAGRA, to go in a different direction from what
15 they were going to do now that they're a preferred
16 repository site. So do you have any updates on either
17 one of those questions?

18 MATTEO: I would think that if you had to
19 weigh the two options between the compacted bentonite
20 blocks and augured system, you would ... if you think
21 about the ... at a systems level, right, not just a
22 single waste package where you have to emplace tens of

1 thousands of these barriers. I would think that the
2 ... there's going to be trade-offs to both systems,
3 right? Obviously, the bentonite blocks, in theory,
4 feel more secure because they're instantly compacted,
5 there's no period where you have to wait for them to
6 compact, you don't worry that there's empty pore space.

7 But then you have to worry about do they get
8 emplaced. They're difficult, more difficult to emplace
9 than auguring in a pelletized product. So then you
10 have to weigh the trade-off, well if it's emplaced
11 perfectly, then it's a superior or a better option.

12 PEDDICORD: I think there's a dose to
13 personnel issue of placing blocks and ... as well, too.

14 MATTEO: Right. Right, there's that issue as
15 well. You have to get ... there's no way to ...

16 PEDDICORD: Yeah.

17 MATTEO: I mean, you can push them in, but
18 yeah. So I think that the pelletized ... I'll open it
19 up to LianGe, because I know he's more involved with
20 the NAGRA folks, and I think he even has a video of
21 some pelletized bentonite being emplaced.

22 They moved the mic on you.

1 ZHENG: Yeah. LianGe Zheng from Lawrence
2 Berkeley National Lab. So this has been ... I think
3 all the machines has been used in Mont Terri, the FE
4 Heater Test. And the latest, the HotBENT Field Test
5 that Grimsel have, they use this ... almost the same
6 machine, and I'm not even exactly sure where you
7 mentioned reproducibility, what exactly you ... you
8 mean.

9 As far as I know, in terms of dry density can
10 produce is very reproduceable. So they can produce
11 quite a similar dry density, which is one of the
12 critical design variable for engineered barrier system.

13 And I find, for example, in the HotBENT Field
14 Test, they have full heaters, and they fill the tunnel
15 with no ... Wyoming bentonite, I know is always that
16 type. But Czech Republic bentonite, that they ... they
17 are able to reach ... no, achieve relatively a
18 homogeneous bentonite with a density which, you know,
19 is their target density, so yeah, that's ...

20 MATTEO: Thanks.

21 BAHR: I have a question. I think you gave us
22 a really nice presentation of what these barriers do

1 and the variety of them. What are the, some of the
2 important technical gaps that we're still facing
3 besides knowing a specific repository.

4 MATTEO: Right.

5 BAHR: You can't do a specific design without
6 a ... but more generically, what additional things do
7 we need to learn so that when a site is chosen, you can
8 go and do that design?

9 MATTEO: Right. So the first way to answer
10 that is to point to the international community and the
11 things that are of interest. The HotBENT test
12 illustrates to us that high temperature is one of those
13 things.

14 Then if we look at some of the other topics of
15 interest, this ... in DECOVALEX, for example, there's
16 this gas flow through bentonite Task, I think it's Task
17 B. And so that tells us that, as I pointed out, that
18 the gas flow ... and there's a lot of intricacies to
19 that process, right, and that slide from Paul Marschall
20 sort of speaks to the different phases of saturation
21 and, you know, how that could progress in terms of
22 fracture opening, and then the worry of there being a

1 fracture percolation and then the gas can flow through
2 ... through that.

3 I think the other ... and there are other
4 examples. Let's see if any others ... you know, the
5 coupled processes in the ... in the buffer and the ...
6 the near-field multi-phase processes, as well. And
7 then this ... this issue of having to deal with these
8 multiple length scales in that over relatively large
9 domain where you have these microscopic effects, right,
10 in the bentonite itself, down to the swelling itself.

11 But then you have these multi- ... you know,
12 we've seen in DECOVALEX Task C, the multi-phase aspect,
13 especially during the thermal period when the heater is
14 hot. You know, getting the physics correct is
15 difficult. And I think Jonny speaks to some aspects of
16 that in his talk.

17 The other thing is the ... is understanding
18 some of these, as I mentioned, like a ... this isn't an
19 integrated system, right, we don't just have the
20 bentonite buffer. We don't ... and then a shotcrete
21 layer and then the host and the ... or the EDZ and then
22 the bulk host.

1 This is an integrated system. And so we've
2 partitioned it into these distinct units to simplify it
3 to understand it. But they're really, when integrated
4 systems, they're going to have complex chemistry where,
5 as the waste package corrodes, if it corrodes, or ...
6 then you're going to have secondary mineralization
7 which can then ... then you get that coupling between
8 the mechanics and the chemistry where, you know, you go
9 down this rabbit hole of, okay, there's so many
10 different directions this system can go in.

11 BAHR: Are there particular questions about
12 what happens at the interfaces between those
13 components?

14 MATTEO: Yeah. Yeah, so ... thank you for
15 that prod. So yeah, so that ... those interfaces, I
16 think, are almost more important than the ... we kind
17 of understand the bulk materials, at least to a first
18 order, if not better, but then those interfaces are
19 where we really run into lots of issues. You know, the
20 bentonite cement interface, where you have chemistry
21 and mechanics happening, the waste package buffer
22 interface is another one where, especially the further

1 on in time you go, you're going to have a real ...
2 several complex processes happening all at once.

3 BAHR: So can you comment on the, sort of the
4 research program that is going on to address those
5 questions? Particularly the interface that ...

6 MATTEO: Sure.

7 BAHR: ... if you think that needs to happen
8 at the lab scale? Does it need to happen at the ... -

9 MATTEO: It needs to start at the lab scale.
10 And so ... and we need particular capability
11 developments. And so one thing we've worked on is to
12 develop workflows to understand materials, interfaces.
13 And that starts with things like Florie's experiments,
14 which you're about to hear about which, you know,
15 hydrothermally alter a milieu of the materials in a
16 generalized way where you're just having that end
17 solution, and see what geochemistry occurs to something
18 very specific where you have an interface of bentonite
19 and cement, and then you want to do a postmortem on
20 some sort of a, you know, leaching experiment or
21 interaction experiment. And that can involve things,
22 you know, very cutting-edge tools, scanning electronic

1 microscopy, elemental analysis, micromechanical
2 analysis, and then pore characterization of ... at the
3 interface zone in the region of interaction between the
4 materials.

5 BAHR: And I guess another sort of prompt is
6 the ... do ... does the lab complex have all of the
7 equipment that you might need for those kinds of
8 characterization and those kinds of studies?

9 MATTEO: We do. And the ... I mean, they're
10 definitely there at all the labs, it's just, you know,
11 recruiting these capabilities into the inter-repository
12 science, right, is something we're ... we're actively
13 working on to pull them ... to pull them together is
14 ... can be challenging, right, because it's ... you
15 have to develop a workflow and you have to develop a
16 ... an analysis framework to understand their ... the
17 data that you do get.

18 BAHR: Thank you.

19 Are there questions? Paul.

20 TURINSKY: Yeah. If you're in a clay rock
21 form, is it really that important that the buffer
22 material retain radionuclides? I'm looking at the

1 picture of the ...

2 MATTEO: Yeah.

3 TURINSKY: The size of the tunnels versus
4 getting back to the biosphere.

5 MATTEO: Sure. It's more important in a
6 brittle, right, if you had a percolated fracture
7 network. Then it would obviously be more ...

8 TURINSKY: Yeah, or a hard rock.

9 MATTEO: Yeah. It is important because, as I
10 mentioned at the get go. So what happens in these
11 really low permeability systems, and we see the same
12 thing in salt, is that there's ... because there's no
13 large fractures, you ... it's super low permeability
14 everywhere.

15 The only way to get any sort of release from
16 the system is through the geotechnical seals. And so
17 that's through the ... you have to assume something
18 really unpredictable, I guess, because as I mentioned,
19 we have these water stops where you have these cutouts,
20 you designed the seal system to prevent preferential
21 flow at the EDZ, and you do the same thing in the shaft
22 seal, so somehow you have to have a failure in this

1 multi-barrier system through the geotechnical seals to
2 have a biosphere release.

3 And there is always going to be a scenario
4 that analyzes that, whether it becomes something that's
5 gets stepped out or doesn't need to be considered, but
6 you'll have that scenario, so ...

7 TURINSKY: Yeah. Plus if your rock is clay
8 itself, it has good ...

9 MATTEO: You would ... yeah.

10 TURINSKY: ... absorption capabilities.

11 MATTEO: Right. Not for the anions though.

12 TURINSKY: Oh, okay.

13 MATTEO: And then ... so then that was one of
14 the reasons that, you know, one of the reasons we're
15 looking at, you know, can we create some high
16 performance getter or absorbent that can, you know,
17 absorb I-129 or ... or tech, or some anionic species
18 that would be driving the PA, okay, in that scenario.

19 TURINSKY: But does the bentonite itself have
20 better absorption capabilities of the ... for the
21 species; it does absorb then, most of the clays? The
22 naturally-occurring clays?

1 MATTEO: Well, you know, the naturally
2 occurring clays are going to have some fraction of a
3 smectite swelling clay. So of course the bentonite is
4 going to have a ... a higher percentage, but it depends
5 on the bentonite. And of course the cation
6 specificity, like, a larger cation, like a
7 radionuclide, which are these heavy metals, is going to
8 preferentially replace your smaller cations, like
9 sodium or calcium or magnesium in the ... in the
10 interlayer during the swelling.

11 And so that's how that functions. But yeah,
12 in terms of ... the bentonite would be more efficient.
13 In most cases, I would say it would be more efficient
14 than the ... than the host medium.

15 BAHR: Any questions from staff members?
16 Chandrika?

17 MANEPALLY: Chandrika Manepally, Board Staff.
18 Ed, you were listing out all the key technical gaps in
19 response to Jean's question. I was just wondering, in
20 those key technical gaps, do you have a feel for which
21 technical gap has a bigger impact on the barrier
22 capability of the bentonite versus something that has a

1 lesser impact on the barrier capability?

2 MATTEO: Hmm. I think that the dry-out is a
3 ... is probably one of the more important of the
4 technical gaps just because we would ... and absent of
5 something like that, we would assume that the clay is a
6 homogenous intact material. But if you had cracking or
7 fracture percolation then it would change our ... it
8 would change the function of the barrier because then
9 you'd have advection for example.

10 Yeah, I think that's ... that would, to me,
11 stands out.

12 BAHR: I think Bret Leslie has a question.

13 LESLIE: Sure. Bret Leslie, Board Staff. I'm
14 trying to think of how to pose this, but eventually a
15 repository is composed of engineered and geologic
16 barriers. And if you get to the point ... DOE gets to
17 the point of submitting a license application, you'll
18 have to talk about, and have the technical support for
19 degradation of the engineered barriers. And so kind of
20 part ... I guess partially what you're doing now is
21 trying to develop that technical basis.

22 So even though the clay might be why the

1 repository is safe, I think DOE probably will have to
2 come and say, "Well if we put in a DPC, and it's at 200
3 degrees C, this is how it'd differ than at 100 degrees
4 C."

5 Is that a fair characterization for kind of
6 the motivation of some of the stuff that you're doing?

7 MATTEO: Well I can pull out a specific
8 example. So what would happen if ... one of the
9 worries is when you increase the temperature, you can
10 increase the smectite to illite transition in a
11 bentonite clay. And so that would change not only the
12 swelling properties, it would also change the cation
13 sorption capability of the clay.

14 And so this ... we know that this is a
15 Arrhenius-like, temperature-driven process. And so at
16 a higher temperature, it will be accelerated. And we
17 also know that, you know, the near-field chemistry
18 driving that would cause it.

19 And so we need to understand all the different
20 scenario, right, it's not ... there's so many different
21 scenarios in the near field, so we want to ... we're
22 going to be asked to ... what our confidence is in

1 whatever prediction we make. And so if we haven't
2 explored certain aspects of the parameter space fully,
3 then how can we say with confidence, "Oh, we know the
4 bentonite barrier is okay at 200 degrees C," but we
5 have to develop that technical bases.

6 LESLIE: Right. And maybe LianGe will get
7 into this more, but ... so will the HotBENT experiment,
8 is that the sole basis for developing the technical
9 basis for these higher temperatures associated with the
10 DPCs? In other words, you know, have you defined what
11 the barrier capabilities you need to evaluate and
12 support, and would that experiment do that for you?

13 MATTEO: Yeah, I think so. And LianGe
14 probably, almost certainly will talk to this more and
15 he can chime in if I fail to answer it fully. But
16 yeah, I think the two ... the two functions that we
17 rely on the bentonite most for are the swelling and the
18 radionuclide retention. And so those are of primary
19 interest.

20 In terms of the HotBENT test, those are the
21 ... I mean, there are other aspects to the test, like,
22 they're going to put metal coupons in the test, but the

1 primary drivers are heat the clay. And there's also
2 some cementitious ... there's a cementitious plug
3 involved in the test as well, so that we can look at
4 the interface between a bentonite and a cement as well.

5 But I do think that the main takeaways are
6 there are other ... I mean, LianGe will speak to this
7 ... there are all other nuances to the experiment as to
8 like the ... the transport as the ... the packages heat
9 up and, you know, how moisture gets distributed. And
10 those are things that can feed into the modeling
11 aspects of it as well, right, to understand how well
12 our model is capturing the alterations that occur at a
13 higher temperature.

14 BAHR: I think we have a question from Tissa.

15 ILLANGASEKARE: Yeah. Thank you very much.

16 So I just want to understand conceptually. So you are
17 looking at multi-phase flow. So basically the gas,
18 there will be gas flowing through a saturated porous
19 medium; is that correct to start with?

20 So when the gas flow through, you call it ...
21 isn't the gas going to be a continuous medium where
22 there are bubbles, or it's like ... like traditional

1 multi-phase theory is you had to have continuous
2 phases, so that in your conceptualization, the gases
3 considered be always connected pathways, or they can be
4 bubbles in the formation?

5 MATTEO: So which part of the ... where are we
6 in the repository lifecycle when you ask this?

7 ILLANGASEKARE: Yeah. I mean, I just ... I
8 just want to learn myself. I don't know. So I'm
9 asking the question. When you say it's a multi-phase
10 flow, it's complex for me to understand where the
11 interface is, et cetera.

12 But my question is in the conceptualization,
13 how the gas is flowing there. Is it flowing like a
14 continuous medium or like a gas ... all the gas in
15 connected or there are ...

16 MATTEO: Well yeah.

17 ILLANGASEKARE: ... bubbles, or how ...

18 MATTEO: Well you'll have ... yeah. I mean,
19 you'll have a continuous phase, right, very close to
20 the heat source, you imagine that there you have a
21 continuum. But you're going to have some kind of a
22 capillary fringe, I think they call it ... you would

1 call this, where you have a ganglion formation.

2 ILLANGASEKARE: Yeah, yeah.

3 MATTEO: And as the gas has to percolate into
4 a saturated medium or partially saturated medium, and
5 that's where ... I don't ... yeah, that's where it's
6 ... gets tricky, right?

7 ILLANGASEKARE: Yeah, that the reason for my
8 question, exactly that, because when you have
9 interfaces, like two material texture interfaces, then
10 the multi- ... traditional multi-phase flow behavior
11 complex itself. But I don't know where the ... we
12 really understand what happens if you have bubbles
13 there in this continuous ganglia on top of gas becomes
14 an interface. I don't know how they behave actually, I
15 just asking.

16 MATTEO: I mean, that's, you know, that's one
17 of the concerns with the dry-out, right, in general, is
18 like what ... how much are you fracturing and how much
19 alteration are you doing to the microstructure, the
20 fabric of the bentonite as that dry-out occurs. And
21 then will it all be reversible when you re-saturate at
22 the end of the thermal period.

1 So the ... you know, I think it's always
2 important though, we don't have to capture every single
3 phenomenon. We'll always ... the ... any modeling we
4 do will always be an abstraction, right? Especially at
5 the performance assessment level, there's always a
6 degree of abstraction to the way that you're
7 representing things.

8 And so there are certain ... we have to be
9 able to know which phenomenon we have to capture versus
10 which phenomenon we don't have to capture, right? We
11 don't have to have a perfectly high-fidelity model at
12 every point in the repository or even in EBS. We just
13 have to capture the ones that the performance
14 assessment will be sensitive to. So that one is ... we
15 have to figure out some of the ...

16 ILLANGASEKARE: So the point being that in the
17 conceptual model for this, two different systems are
18 different. So that's ... that is you may not ... you
19 will not be able to model a multi-phase scenario under
20 this continued ganglia in this issue of continuous,
21 so ...

22 MATTEO: Yeah, you wouldyeah, you would

1 have to ... for that case, right, you might ... you're
2 going to have to have a ... you have a whole set of ...
3 we try to just develop the tools that if we ... it
4 comes to that ... this ... "Oh this is a driver in the
5 performance assessment," that we're sensitive to this
6 phenomenon, then we need to be able to address it, but
7 not necessarily address it unless we know we have ...
8 right? It's the conundrum when we're not site-
9 specific, we have ... we just have to focus a little
10 bit more on capability development and generalized
11 fundamental knowledge I think.

12 ILLANGASEKARE: Thank you.

13 BAHR: Any other questions from staff, Board
14 members? Bret Leslie.

15 LESLIE: Thanks, Jean.

16 Bret Leslie, Board Staff. Kind of ... if you
17 can go back to Slide 5 for a second. And I hate doing
18 this, because I'm a geologist and I love rocks, but
19 this is kind of driven by the host rock and kind of
20 turn it around and say, "What are your repository
21 concepts and host rock requirements if you have a DPC?"
22 How would those figures change? Would any of

1 them, you know, if you have a DPC the ... Switzerland
2 would still work. I'm trying to get a feel for that,
3 because yes, you have all sorts of rocks in the U.S.,
4 but right now, you have dual purpose canisters that are
5 large and big.

6 So does that constrain the rock types? Does
7 that mean you have to go to a sealing clay, and you
8 can't do brittle?

9 MATTEO: Well the first question is can you
10 get a DPC into this environment, right, can you get it
11 to the repository level from ... and that's an
12 operational issue to start with.

13 For the ... the super container, which is what
14 they use in the Belgian concept is a pretty large
15 container. I don't know off the top of my head how
16 large and heavy it is, but it has a huge annulus of
17 cement around it, right? It's kind of a ... it's
18 almost like a pre-fabricated EBS because you have the
19 buffer on the waste container as a shielding element.
20 And then it emplaces that way, so it's a fairly heavy
21 container.

22 So to me, for certain the super container type

1 of concept is going to ... should be feasible. I mean,
2 I shouldn't say for certain, but it should ... it could
3 be feasible.

4 For the sealing, for the like, more of an
5 Andra type of concept, then I think that it's really
6 more an issue, can you get it underground? But it's
7 for both of them, right, if you have the operational
8 infrastructure, do you have the concept developed?

9 The Germans do a really good job on this
10 operational side in their program. They go into ...
11 you know, we know that we could put a DPC in salt
12 because the Germans have developed all the designs for
13 the hoist systems to get that large waste package into
14 the underground.

15 BAHHR: Just following up on that with the
16 Belgian case. They've got a super container, but that
17 includes a buffer around it. If you took a DPC and you
18 had to add a buffer around a DPC, it would be a super,
19 super container. Would that be feasible from an
20 engineering standpoint?

21 MATTEO: I mean, you would ... I mean, I don't
22 ... this is outside of my area of expertise, but you

1 would have a shotcrete liner, right? Your biggest
2 concern would be is the excavation volume or diameter
3 too large to work safely in the underground.

4 But I think that the ... that's why you have
5 the shotcrete in the first place. I don't know what
6 the ultimate ... you know, there are heuristics for,
7 you know, it's usually more how close you ... you place
8 the drifts and the excavations, as opposed to like how
9 ... right, we can put pretty large ... make pretty ...
10 I mean, we've had discussions of vault-type rooms for
11 disposal, for example, and in almost any media, so I
12 don't think that there's a limit on the excavation
13 size, it's really just ... because of the size, do you
14 run out of aerial extent in the repository horizon
15 where you don't ... you have too many waste packages to
16 manage a thermal load correctly, for example.

17 I think Dave has a comment.

18 SASSANI: Hi. Dave Sassani with Sandia
19 National Laboratories. I'll just add, dual purpose
20 canisters in the U.S. is one of the areas in which the
21 U.S. is leading the world. It ... we have larger and
22 higher thermal-loaded canisters considered for disposal

1 than pretty much any other country.

2 And so in fact, and this is just, I'm
3 assuming, part of the question which is more the
4 broadscale aspect, that consideration does make it a
5 bit of a challenge to take the designs that are out
6 there, in other countries, for their systems, and just
7 put a dual purpose canister into them. There are a
8 number of considerations which have been discussed very
9 well.

10 But in fact, it also creates a challenge in
11 terms of the modeling of the evolution and potential
12 degradation of the canister and the engineered barriers
13 because it pushes the thermal aspects of the system ...
14 the local system around a canister which spacing
15 doesn't help very much with; it does some for very long
16 term, but you will have to consider temperatures that
17 are much higher.

18 Our interaction with HotBENT is a really good
19 example of international collaboration where I think
20 our ... LianGe and everybody involved with that have
21 gotten the temperature raised to a level which puts us
22 in the realm of what DPCs will be doing to some of

1 these if they get disposed in a bentonite backfill.

2 But lots of good discussion about the
3 engineering aspects.

4 BAHR: Thank you. And I think that brings us
5 to time.

6 So thanks very much, Ed.

7 And we'll bring up our next speaker. A pair
8 of speakers: Carlos Jove-Colon and Florie Caporuscio.
9 I hope I said that right. And Carlos is going to start
10 out.

11 JOVE-COLON: All right. My name is Carlos
12 Jove-Colon, and basically, it's going to be a tag-team
13 talk between myself and my colleague at Los Alamos,
14 Florie Caporuscio, and it's called, "A Review of High
15 Temperature Engineered Barrier Systems Experiments."

16 And I'm going to be giving part one, which is
17 "Modeling and Testing Activities of Bentonite Barrier
18 Behavior." Mostly stuff that actually we are ...
19 conducted at Sandia National Labs, but also in concert
20 with other labs as well. Next slide.

21 Oh, sorry. Anyway, just to give you a quick
22 gist of why we actually talk about argillite. So, on

1 the left panel, we have a map of the U.S., and with
2 some color coding in terms of distribution of
3 argillaceous rocks and geologic formations in the U.S.

4 And one of the attributes of why we choose
5 argillite is, number one, widespread geologic
6 occurrence. They're found in stable geologic settings,
7 and they also contain the appropriate thing that's do
8 ... and depth to actually host a nuclear waste disposal
9 concepts, and we talk already about the self-sealing
10 properties.

11 Color coding in this vinyl is actually the
12 depth to the top of the shale formation in meters. So
13 if you look at the center part of the map, this is pure
14 shale. I don't know if you can see that. Actually,
15 that kind of light bluish color that's about 400 to 500
16 meter range in terms of depth.

17 On the right panel, actually we have a generic
18 stratigraphic column, and in terms of something that we
19 do to develop a reference case for argillite, and how
20 it looks like in terms of depth, and also the different
21 types of formations that are considered, permeability
22 ranges, et cetera. Next slide. Let me do it myself.

1 Well, we actually have talked on various
2 aspects of this in terms of an engineered barrier
3 concept, particularly in the near field, but this is
4 more of actually ... I'm just going to mention a few
5 things in here, Jonny has talked a lot about this. Ed
6 talked a lot about this, but I just want to focus on
7 something that was mentioned previously, and actually,
8 it's about interfaces.

9 A lot of the action and a lot of the
10 degradation in terms of barrier materials occurs at
11 interface. So we have heat generated by the spent
12 fuel, but we also have, you know, canister overpack, et
13 cetera, and then that in contact with bentonite.

14 So there's, especially for concepts, like, for
15 example, high-heat generating concept, like DPCs, we
16 were talking about that. So you expect to have some
17 mineralogical changes going on at the interface.

18 The same thing happened between cement and
19 bentonite interfaces. And also, of course, you can
20 have fluxes of fluids, you know, where they impact pore
21 solution chemistry, and of course in case of a breach,
22 you can have also effects on radionuclide transport.

1 Also, we are ... have to consider, you know,
2 the effects of bentonite swelling and shrinkage. And
3 again, thermal phase stability, you know, are ... these
4 things are going to be stable in the long term, even
5 under high-temperature conditions?

6 And of course, chemical interactions with pore
7 solutions in bentonite as well. It also includes, you
8 know, things like canister corrosion and contact with
9 the bentonite, et cetera, and every process that
10 actually accounts for clay barrier degradation.

11 Anyway, this is some of the highlights of the
12 disposal R&D program, experimental and modeling
13 activities. Florie is going to be talking about part
14 two, a lot of the experimental activities and barrier
15 material interactions at high temperatures. We talked
16 in some aspect on the international collaboration and
17 disposal R&D.

18 In Sandia, for example, we're involved with
19 DECOVALEX 2023, modeling thermal, hydrological, and
20 chemical processes in bentonite. We're also involved
21 with the SKB Task Force, Sweden, in which they actually
22 have a modeling problem for cement-bentonite

1 interactions; it involves more a reactive transport.

2 And of course, we hear about HotBENT already,
3 and LianGe Zheng from Lawrence Berkeley Labs is going
4 to be ... talk more in detail. Our side of that is
5 actually looking at postmortem characterization on the
6 column test of bentonite, but also, we will be engaging
7 in doing a thermal hydrological modeling of that as
8 well, as the data comes in.

9 In Sandia, we actually have been doing
10 molecular dynamics simulation of water transfer
11 phenomenon in smectite, which is essentially swelling
12 clay.

13 Swelling is a thing, it's a phenomenon that
14 occurs at the nanoscale, and actually this particular
15 technique is very useful to know what's going on. We
16 also been partnering with the universities, for
17 example, for the modeling of ordinary Portland Cement,
18 and the modeling of leaching. This is actually pretty
19 crucial for model calibration.

20 Also ... well, actually, Jonny talked about
21 this earlier today, the modeling of THMC processes and
22 shale creep in argillite. So this is also something

1 that we do in ... you know, their focus is more on
2 thermal, hydromechanical, but we actually ... they're
3 looking at other aspects of the other chemical
4 interactions of bentonite as well.

5 Machine learning approaches for radionuclide
6 mineral interactions, and surface complexation database
7 development. This is an effort that Lawrence Livermore
8 National Labs is actually involved in, in terms of
9 applying machine learning approaches, and looking at
10 the wealth of data that existed there for absorption of
11 radionuclides in ... not only in clay material, but
12 other types of surfaces, and actually tried to exploit
13 ... essentially primary ... let's say parameter
14 evaluation of surface complexation, and how they can
15 actually represent such processes using machine
16 learning.

17 And also, thermodynamic database development.
18 Since the Yucca Mountain days, and probably even before
19 that, thermodynamic databases actually allow us to make
20 predictions about not only the feasibility of minerals,
21 et cetera, when they're gone and there's processes of
22 ... that are thermally driven, but also allow us to

1 provide a lot of the rigor and feed our geochemical
2 modeling tools to make those predictions.

3 In terms of international activities,
4 basically DECOVALEX 2023, Sandia is involved with the
5 Honorobe URL in Japan. We are actually modeling lab
6 scale experiments, but also as a part of another step
7 in that particular activity, we are actually doing ...
8 modeling the full scale EBS experiments as well.

9 As I said before, SKB Task Force includes
10 cement clay interaction modeling. We're actually
11 looking at a 1D problem, a reactive transport. Fairly
12 simple, but given the complexity of cement phases in
13 the OPC on the Ordinary Portland Cement, this actually
14 can be quite complex as well. But also, we are
15 involved in the HotBENT experiments, as I explained
16 before.

17 In terms of the things that we're doing,
18 basically water transport in clay interlayers during
19 dehydration. And this is kind of important in the
20 sense that smectite clay, when it hydrates, hydrates
21 differently than it dehydrates.

22 One of the reasons is that hydration and

1 swelling comes hand in hand, and the same with
2 dehydration. When the system actually ... water leaves
3 the system, it shrinks, and that actually has some
4 implications in terms of desiccation, cracking, et
5 cetera, and all those things that actually ... we
6 mentioned already.

7 Just like here, just to give a snapshot of
8 what's going on, you have a dry montmorillonite, which
9 is a smectite, and essentially has zero waters in it,
10 that's in the leftmost ... the left most part of the
11 slide. You start adding one water layer, and then the
12 whole stacks of the dried-out layers in this mineral
13 structure start expanding until you actually
14 accommodate up to two water layers. So that's
15 basically the phenomenon in terms of clay swelling,
16 which is pretty much water absorption inside the
17 mineral structure.

18 So, one of the things that we have been trying
19 to do is to study this phenomenon at high temperatures.
20 So we actually have to conduct these experiments in
21 specialized equipment; for example, doing structural
22 studies at high temperatures on the control and

1 moisture conditions, which is ... can be kind of
2 challenging. But also we have been doing thermal
3 studies on this just to see, for example, dehydration
4 is an endothermic phenomena, you'll see here in the
5 lower panel.

6 There is a differential scanning calorimetry
7 here, that red curve here, that's in an upward peak.
8 That's actually an endotherm, and that's what happens
9 when the actual mineral dehydrates. But it's actually
10 a stabilized process, and that's one of the things that
11 we actually can explain using a much smaller scale
12 modeling. It's actually a fast process at the
13 beginning, and ending, it's a diffusive process.

14 And another aspect of this is actually ... the
15 reason is to ... to me, a key reason is to study
16 thermal ... the stability of all the clay at elevated
17 temperatures, and this particular techniques tell us a
18 lot about it.

19 And another thing that we're doing ... well,
20 this is not another thing. Actually, this is a part of
21 DECOVALEX, is actually modeling lab-scale experiments
22 from the Japan Atomic Energy Agency in which they

1 actually saturate bentonite.

2 In this case, they actually have a bentonite
3 block, they saturate it from the bottom, and
4 essentially and progressively, they actually measure
5 liquid ... water content or liquid saturation as a
6 function of time, and as a function of location.

7 So, on the rightmost panel, actually you can
8 see that there are a bunch of cords, and we actually
9 have two ... two types of modeling cases in which, one,
10 we have an interior unit's initial saturation. We can
11 tell the model to specify initial saturation as a
12 function of the cell in which we want to actually
13 measure the whole thing in the ... within the model,
14 but then also we can actually assign an initial
15 saturation homogeneously across the sample.

16 Why we did that? We were actually looking at
17 different cases in which by specifying the initial
18 saturation as a function of space, and within the
19 sample, we actually have a better fit to the data.

20 But what happened if we actually decide to
21 have a homogeneous initial saturation? And basically,
22 the difference in here are very small. This is up to

1 30 days. You can see more difference at the beginning
2 of the experiment. But still, it gave us a good idea
3 on how sensitive those parameters are.

4 We actually did it for a deionized water, and
5 then also for a synthetic groundwater. And basically,
6 we managed to feed the data by ... by adjusting
7 permeabilities across the length of the sample.

8 We actually also ... going to the next step
9 under lab scale experiments, again, this is in ... this
10 is with the Japanese. And they actually have a
11 bentonite block in the bottom that there's a constant
12 temperature boundary condition of 70 degrees C.

13 On the top, it's actually a constant
14 temperature of 30 degrees C, and essentially, where
15 we're using the ... our tool, which is a PFLOTTRAN
16 model. I forgot to mention that in the previous slide.
17 Basically, that's what we use to do this type of
18 thermo-hydrological modeling. And essentially trying
19 to see if we can represent liquid saturation as a
20 function of distance at different times within the
21 sample.

22 Well, this is still work in progress. We

1 haven't been very successful, although we can actually
2 ... we can manage to get the overall trends, but we
3 can't actually ... it's very hard to actually fit the
4 data. But we are actually working on that, and the way
5 we're starting to, at least in this stage of the
6 modeling, is to actually use different permeabilities
7 and see how the parameter is sensitive, and how it
8 represents the data as a function of distance from the
9 bottom of the example.

10 PEDDICORD: A quick question. Lee Peddicord.
11 So this slide and the previous slide were both done at
12 ... with Japan; did I understand correctly?

13 JOVE-COLON: That's correct.

14 PEDDICORD: But they're two different
15 experiments?

16 JOVE-COLON: They are two different
17 experiments.

18 PEDDICORD: Okay, thank you.

19 JOVE-COLON: Yeah, one is actually isothermal,
20 low temperature. This guy is non-isothermal.

21 ILLANGASEKARE: Tissa Illangasekare. What is
22 the size of the block?

1 JOVE-COLON: The size of the block, I think is
2 10 centimeters in length.

3 ILLANGASEKARE: Oh, 10 centimeters.

4 JOVE-COLON: Yeah. I need to double check on
5 that, but I think that that's correct.

6 Okay. Another thing that we're doing is,
7 actually talking about interfaces, is modeling of the
8 Ordinary ... Ordinary Portland Cement leaching; and
9 again, using PFLOTRAN. And this is more of a reactive
10 transport model in which experiments conducted at
11 Vanderbilt University, this is Dr. David Carson's
12 group. They actually developed an EPA method for
13 leaching of monolithic material.

14 So, we basically used their data. This is, I
15 think, reacting OPC over ... this is actually ... I
16 think it's, yeah, cure OPC over fifteen hundred hours.
17 And essentially we managed to get a very good
18 representation as a function of time of the leaching,
19 and this is actually, it's ... can be kind of a quite
20 complex, because sometimes we don't know the ... how
21 much of the initial ... the volume fraction of all the
22 cement phases actually present in the model; that

1 information is almost not given. But we managed to
2 actually, in collaboration with Vanderbilt, get ...
3 agree about the initial cement composition, and
4 actually, that allow us to gauge our model to pretty
5 much provide this information.

6 And actually, I'm very ... I think we can
7 claim a little bit of success in terms of how well we
8 have ... not only feeding the process for calcium and
9 silicates as a function of time, but also, all their
10 solutes.

11 So, this is my last slide, and essentially, we
12 are very active in doing PFLOTTRAN thermal,
13 hydrological, and chemical modeling.

14 Again, looking at both aspects of variably
15 saturated bentonite under non-isothermal and isothermal
16 conditions.

17 Reactive transport modeling of OPC leaching
18 experiments. And again, these experiments are very
19 key, because it's not only a way to calibrate our
20 models, but it's also ... and not only testing our
21 models and verifying them, but also, we need a
22 baseline. And I think that actually, such kind of

1 partnerships in ... with people doing experiments are
2 key in my opinion.

3 We're also looking at parameter evaluations,
4 sensitivity analyses, mesh refinement, et cetera, and
5 all those things are actually part of the modeling
6 effort.

7 We are also looking at reduced order models,
8 and the goal is to actually ... how can we try to
9 capture, for example, otherwise very complicated
10 chemical process models, like for example, bentonite
11 swelling effects on permeability.

12 LBNL HotBENT heated and unheated column
13 experiments. Basically, we are actually working with
14 Berkeley and doing, you know, not only a thermal
15 analysis of bentonite on those column experiments, but
16 also compositional and mineralogical characterization,
17 and also continuation of the cyclical thermal analysis
18 at high temperatures.

19 This is a way that we can ... something that
20 we can do at Sandia in terms of by cycles, applying
21 moisture and cycles as a ... at a constant temperature
22 and as a function of time. And that tells a little bit

1 of the shrinking ... sorry the, swelling and shrinkage,
2 actually, of the bentonite, in terms of the thermal
3 analysis at high temperatures, is something that
4 doesn't get compromised.

5 Of course, it's a large-scale experiment short
6 term, but given the ... the way it can be done,
7 especially under unsaturated conditions, it can give us
8 a lot of information.

9 We are actually moving MD simulations,
10 molecular dynamics towards gas transport. For example
11 in this case, H₂ gas, which is kind of a ... it's being
12 considered an important gas in repository sciences just
13 because of the ... it's a biproduct of corrosion, metal
14 corrosion. And one of the things that we want to do is
15 to actually look into gas absorption and transport in
16 the clay interlayer.

17 And of course, we are still looking at
18 analysis of thermodynamic parameters from clay
19 degradation modeling that we actually conducted already
20 in these simulations.

21 Thermodynamic database development, it's
22 actually something that still always under evaluation,

1 and we actually expanding into it. We have Lawrence
2 Livermore, Tom Wolery over there, working heavily on
3 this, and ... just because it's a key feed to a lot of
4 the geochemical and reactive-transport models that we
5 do.

6 And also, as mentioned before, Nuclear Energy
7 University Partnerships, NEUP projects, actually are
8 key also to look at, for example, in the cases of
9 amended bentonite. We're looking at, for example, in
10 the case of dehydration, how using microfibers can
11 actually arrest the formation of desiccation cracks, et
12 cetera.

13 So this is my last slide. I don't know if
14 Florie can come in and leave questions for later?

15 BAHR: Yeah, I think we'll take Florie's
16 presentation, and then we can have questions for both
17 of you at the end.

18 JOVE-COLON: All right. Perfect.

19 CAPORUSCIO: My name is Florie Caporuscio from
20 Los Alamos. I want to thank the Board for asking me to
21 give a talk today, and mine is going to be on high-
22 temperature experiments. We're going to focus on the

1 minerology of what happens to the clays, phase
2 transitions, and especially these interface playoffs.

3 You've seen the schematic many times today.
4 What I'll ... once again, looking at the mineralogic
5 changes, and a little bit on the waste package
6 corrosions. We also have started to do experiments
7 that incorporate cement with the clays.

8 Go on from here. There we are. I'm going to
9 try and really do just summary slides today, because as
10 you'll see, we've done over 50 experiments. It's going
11 to be a little hard to cover each and every one.

12 So, we have a range of temperatures that we
13 worked at from 200 to 300 degrees Centigrade, and a
14 pretty consistent 150 bar for our pressure in these.
15 These are all done in rocking autoclaves, by the way.

16 So, the first set of experiments were the
17 Wyoming bentonite, solo, 16 of them. I'm not going to
18 read all these parameters. You can go back when you
19 need to and check them out.

20 Then we did a baseline, Opalinus Clay. So, we
21 had knowledge of what happens to just the Opalinus at
22 300 C.

1 Then we mixed the wall rock, the Opalinus Clay
2 with the Wyoming bentonite which is the buffer
3 material. Had a bunch of experiments there, and of
4 course we added metal coupons to see what happens at
5 the interface site: copper, low carbon steel,
6 stainless.

7 Once we had those under control, we had some
8 knowledge base. We then added Opalinus Clay ... sorry,
9 Ordinary Portland Cement, OPC, and/or low pH cement as
10 we went on.

11 The last one, the last 10 experiments were
12 done in a crystalline rock, Grimsel granodiorite from
13 the Grimsel site at URL in Switzerland. And I'll do a
14 comparison of those experiments versus the Opalinus
15 Clay at the very end of this talk.

16 So, the interface between steel coupons and
17 the clays, and what happened. Most of these were run
18 at 300 C, 150 bar. These ... we project these to be
19 sort of repository conditions, that's why we're doing
20 them.

21 And what we end up with, you can see in the
22 equation at the bottom, stainless steel, water,

1 montmorillonite produces iron saponite at the
2 interface, and opal.

3 Next summary. If you look at, sorry, the
4 interaction between the wall rock, Opalinus Clay, and
5 the barrier material, Wyoming bentonite, we had ... now
6 we're talking about 20-plus experiments, but there were
7 2 that really sort of stood out.

8 The one at 300 degrees and 6 months. And then
9 a lower temperature, many fewer weeks, eight weeks, but
10 the water was much more saline. So we ended up getting
11 ... it was especially in the 6th month, we ended up
12 producing illite-smectite, which we had not seen in any
13 of the others, and that was because there was some pre-
14 existing illite in the Opalinus Clay.

15 So we had a nucleation site for it to be
16 developed in the right chemical conditions.

17 When we added Portland Cement, we saw that
18 there was a swelling decrease. We saw that the clays
19 degraded, and mineralogy, the montmorillonite went to
20 what's commonly in the cement industry called a C-A-S-H
21 mineral, tobermorite, which is a calcium, aluminum,
22 silica hydrate. In the SEM image, you see some nice

1 long acicular illite in with the smectite.

2 So, what else am I going to talk about? Some
3 zeolites. They're in the Wyoming bentonite to the tune
4 of about 11 percent, 13 percent clinoptilolite. So top
5 bullet, you heat it up to 300 degrees C, the
6 clinoptilolite transitions to analcime, very simple.

7 When we add Opalinus Clay, and the Opalinus
8 Clay groundwater, both of which are calcium-rich, you
9 push from the analcime member towards the wairakite,
10 which is the second bullet, which is the calcic end
11 member of that same zeolite.

12 When we add cement to the mix on top of
13 everything else, that's where we encounter these C-A-S-
14 H minerals, tobermorite, garronite. And if we had a
15 different ground ... wall rock, sorry, the Grimsel
16 granodiorite, we don't see any zeolites created other
17 than the aluminum tobermorite, which is probably a
18 meta-stable phase.

19 This is why I like zeolites; they make for
20 great images. The far left is Wyoming bentonite only,
21 where we heated it, and we got analcime. We got
22 beautiful analcime. Once we added calcium to the

1 system with ... being Opalinus Clay and Opalinus Clay
2 groundwater, it trended toward wairakite, which are the
3 clump of zeolites on the righthand image.

4 What makes that unusual? This is solid
5 solution series line. Far left are wairakite
6 compositions; far right, analcime. It was that middle
7 zone that ... well, first time they plotted one there
8 was 69 by Seki and Oki. They believed that there was a
9 miscibility gap: that you had end members, but you had
10 nothing in the middle. We've added, besides those four
11 experiments, most of our Opalinus Clay experiments have
12 compositions that fall in the center.

13 Once again, it just proves that the overall
14 chemistry of the system drives most of the mineralogic
15 changes to be expected.

16 So, I want to give a little bit on the C-A-S-H
17 minerals that we formed. These are at 200 degrees C
18 with Portland Cement as our beginning experiments. The
19 montmorillonite broke down to make tobermorite. The C-
20 A-S-H minerals are precursors we've seen prior to
21 analcime and garronite.

22 Just go down to the lower bullets, the change

1 in smectite was quite significant when ... with the
2 addition of cement. We lost a lot of our smectite, and
3 we gained zeolites. See there: 19 versus 14 weight
4 percent.

5 The clinoptilolite was slightly reduced, but
6 you'll see that we were able to produce more zeolites
7 with the addition of cement.

8 Going to try and summarize quickly. Wyoming
9 bentonite to Opalinus Clay added ... to then add
10 Portland Cement. So in the first one, pretty simple
11 system. Smectite is stable. No illite was produced.
12 The clinoptilolite transitioned to analcime at 300
13 degrees C.

14 When we added Opalinus Clay as a wall rock, we
15 were able to generate some illite-smectite, and that is
16 because of the discrete illite in the Opalinus Clay
17 acting as nucleation sites and having the right
18 chemistry to provide for that illite-smectite growth.

19 Because of the calcium content in the Opalinus
20 Clay, it shifted the chemistry. We were able to form
21 wairakite now as part of that zeolite system. When we
22 added Portland cement to it, start losing smectite, we

1 were able to continue growing some illite-smectite. We
2 generated C-A-S-H minerals, and at 200 C, lower
3 temperature, we showed an assemblage of tobermorite,
4 garronite, and analcime. We still have work to do, but
5 we believe that the tobermorite is metastable, and it's
6 going to, with time or more temperature, convert to
7 garronite and analcime.

8 This is a slide where I wanted to make a
9 little comparison between the argillaceous material on
10 the right, the Opalinus Clay, and Grimsel granodiorite
11 on the far left. So the experiments had temperature
12 difference. Opalinus Clay, dominantly we did 300
13 degrees experiments; it's a sodium chloride-rich brine.
14 Whereas the Grimsel is carbonate rich. Zeolites,
15 analcime-wairakite for Opalinus Clay. Tobermorite and
16 other C-A-S-H minerals with the Grimsel granodiorite
17 without any cement added.

18 And then minor illite-smectite with Opalinus
19 Clay and not with Grimsel granodiorite, and we created
20 some bentonite colloids in the Grimsel granodiorite
21 experiments. That happened when we cooled off the
22 experiment. We never do a quench.

1 There are health and safety issues of trying
2 to ramp these things down from 300 to 25, so we just
3 shut them off and let them ride down the steam curve,
4 so they're not really quenched. But when we extracted
5 the resulting material, we had colloids in the Grimsel
6 granodiorite experiments.

7 Here are summaries, pretty much what I talked
8 about earlier. Alter the bentonite only, because we
9 had restricted potassium supply. We didn't generate
10 illite. We also ... the aluminum also was a cause for
11 not generating the illite, and clinoptilolite went to
12 analcime at 300 C.

13 Steel corrosion was a simple one. At the
14 interface, we created iron saponite and opal. That
15 growth at the surface of the steel produces a larger
16 surface area, and it may help provide an increase in
17 actinide retention.

18 When we added bentonite ... sorry ... Opalinus
19 Clay to the bentonite, we were able to generate some
20 illite-smectite, and that's because of pre-existing
21 illite in the Opalinus Clay, and we were able to
22 generate more smectites.

1 When we add Portland Cement, however, smectite
2 goes away, typically 15, 20 weight percent loss, and
3 the clay itself is degraded. Some of the
4 montmorillonite became tobermorite, and we ended up
5 with a significant increase in the zeolite phases.

6 My acknowledgments. Thanks to the Department
7 of Energy, Nuclear Energy, and a whole host of
8 characters who, without them, wouldn't have been able
9 to do all these experimental studies.

10 BAHR: Thank you, Florie. Can you just
11 comment on what's ... what are the implications of the
12 ... both the clay phase changes and the production of
13 the zeolites on barrier effectiveness.

14 CAPORUSCIO: So first and ... sorry. Sorry,
15 Jean. First and foremost, we went into this 10, 15
16 years ago saying you heat up clays, you're going to get
17 illite. Not necessarily. That really depends on the
18 bulk chemistry of the system.

19 This being a closed system, you don't add
20 potassium, you're not going to get illite. In a
21 general geologic system, things come and go, that's
22 where you get illite when you heat it up in

1 temperature.

2 Something to be aware of. Especially if we go
3 into design phases down the line of different barrier
4 systems. Generating more zeolites from this barrier
5 system. Zeolites have typically an order of magnitude
6 more retention of radionuclides. We saw that in the
7 Yucca Mountain studies. JAEA, the Japanese group, they
8 have a huge database that shows that zeolites are more
9 likely to retain radionuclides than clays. So now it
10 becomes a balancing act of how ... what's the weight
11 percent that you get of new zeolites and will it be
12 beneficial or not.

13 BAHR: What about the swelling capacity? If
14 you're not creating the illite, then you're not
15 destroying that. But what does the zeolite content do
16 to the ... to the swelling of the clay ... of the
17 bentonite?

18 CAPORUSCIO: So there was one study in the
19 '80s where clinoptilolite went to analcime at actually
20 low temperature, and there was a reduction in size, and
21 an expulsion of water; was by Joe Smith, 1982
22 engineering geology, something ... but it's not a

1 significant change, otherwise, because the amount of
2 zeolite generated isn't that tremendous: 10 weight
3 percent. Something like that.

4 BAHR: So if we can bring back Jose, then I
5 think we can have questions for both of ... Carlos.

6 CAPORUSCIO: Carlos.

7 BAHR: Should've said Carlos. Sorry. Sorry,
8 Carlos. Jove-Colon, you're ... we're going to bring
9 Carlos Jove-Colon back.

10 JOVE-COLON: Do I use the other microphone
11 or ...

12 BAHR: Yeah, maybe ... maybe you can share
13 that one and ... do we have any questions from the
14 remote people on these talks? We have a question from
15 Lee Peddicord here.

16 PEDDICORD: This is just for clarification.
17 Is this your team at Los Alamos or from other
18 laboratories as well?

19 CAPORUSCIO: So I can see right off the bat
20 there are three people that I need to acknowledge:
21 George Morgan, Lindsey Hunt, they were the microprobe
22 operators at University of Oklahoma.

1 PEDDICORD: Okay.

2 CAPORUSCIO: That I did work with, for seven
3 or eight years. Steve Chipera did some early QXRD when
4 we were not able to do it, when our machine failed. He
5 was able to help us at Chesapeake Energy.

6 PEDDICORD: Okay. Thank you.

7 BAHR: We have Paul Turinsky.

8 TURINSKY: Yeah. Following up a little bit on
9 Jean's question. How far does this propagate these
10 changes, into the interface? It seems if it doesn't
11 propagate very much, in most cases, it wouldn't ...
12 wouldn't be that important. But if it does propagate
13 more, it'll have more significance. So I'm trying ...
14 you know, how much does this impact the performance
15 model eventually?

16 CAPORUSCIO: Yeah. So these are batch
17 experiments in a fairly homogeneous environment. So we
18 don't have the actual layering or scaling of, you know,
19 "Here's the cement. Here's this. Here's that."
20 Hopefully LianGe will have some of that tomorrow for
21 you.

22 We do know that the iron alteration at the

1 interface is ... is very ... I don't want to say
2 "short," but it's immediate. And you'll see this layer
3 of iron saponite on the steel surface.

4 And then there are other experiments from a
5 French group, Mosser-Ruck is one of them, but they saw
6 this iron saponite throughout the clay system. So,
7 cannot give you a definite answer.

8 BAHR: Is there ...

9 ZHENG: Yeah. LianGe Zheng from Lawrence
10 Berkeley National Lab. So in the FEBEX test, a longer
11 heating and hydration test, the Grimsel test site, you
12 know, they dismantled the test after 18 years of
13 heating high region. This is longest test. So at the
14 canister and the bentonite interface, we saw change,
15 runs from 4 millimeter to 12 millimeter.

16 So something about the 1 centimeter, you know,
17 after 18 years. At the concrete and the bentonite
18 interface, the impacted area, about a half-centimeter.
19 So that's the best. But this is 18 years of a test.
20 So you can get a sense, you know, if you have a
21 repository, you know, 100 years, 1,000 years, of course
22 this is not linear, so yeah.

1 BAHR: We have additional questions from Board
2 members? Questions from staff? Bobby.

3 PABALAN: Roberto Pabalan, Board Staff.
4 Florie, you have done a lot of experiments using
5 different combinations of bentonite type, host rock
6 type, water composition, temperatures. Have you done
7 geochemical modeling to see if geochemical models can
8 ... predictions? What geochemical models can agree
9 with your experiment or the results? And that's really
10 where the value of your experiments lie. Not only in
11 being able to maybe validate these geochemical
12 modelings, but also to identify where there's a need to
13 improve thermodynamic databases.

14 CAPORUSCIO: So we've just gone that route
15 very recently, Bobby, using PHREEQC. And the nice
16 thing is it ... they match up well. And this is in the
17 zeolites with analcime-wairakite and clinoptilolite.
18 We're going next into the C-A-S-H mineral system and
19 see what the stability is, because doesn't look as
20 clear cut there.

21 PABALAN: Okay. Because modeling, of course,
22 will enable you also to extrapolate or predict what

1 happens in other geochemical conditions.

2 CAPORUSCIO: Mm-hmm.

3 PABALAN: For specific repository
4 environments. So yeah, I'd be looking forward to
5 seeing the results of your efforts.

6 CAPORUSCIO: Good.

7 BAHR: Chandrika?

8 MANEPALLY: Chandrika Manepally, Board Staff.
9 I was just wondering the temperature and the pressure
10 values that you've used for your experiments; it's 300
11 C and 150 bar. Was that a reflection of the kind of
12 repository conditions that you expect, or what was the
13 reason?

14 CAPORUSCIO: Well, it always helps to generate
15 new phases at a higher temperature, sort of accelerate
16 the process. But there's evidence to show that DPCs,
17 at the skin, can be as hot as 300 degrees C.

18 150 bar, lithostatic pressure is what we
19 calculated, about 800-meter depth, typical depth for a
20 repository, if at all closes up. Okay?

21 MANEPALLY: Thank you.

22 BAHR: Andy Jung?

1 JUNG: Yes. This Hundal Andy Jung. I heard
2 that the previous presentation by the Ed ... Ed. So
3 the ... this phase depth, for the waste package, it
4 seems like copper could be ... could become material
5 for its current clay-based repository or you are still
6 considering the other type of materials? But basically
7 that is for Ed. A question to Ed, basically, but I
8 missed it.

9 For your case where you have a slide 4 ... you
10 have some testing ... phase testing, is the steel. I
11 suppose the waste canister you say, but sometimes, the
12 others says that overpack ... so overpack or waste
13 canisters is a little bit confused.

14 And the question is that you ... you have
15 observed iron-rich clay, does it mean that some
16 dissolved iron is incorporated [with] the clay or the
17 ... what is the definition? Like, you say the iron
18 oxide layers? Iron oxide layer because these corrodes
19 can make a significant dioxide ... iron oxide layers.

20 CAPORUSCIO: Yeah. Let me give part of the
21 answer, and then Ed will jump in. We did do some
22 experiments with copper foil, okay?

1 JUNG: Okay.

2 CAPORUSCIO: The Swedes, the Japanese do use
3 copper as the outermost layer in their ...

4 JUNG: For the Sweden.

5 CAPORUSCIO: Yeah.

6 JUNG: Yeah. That is for the ... the granite
7 type of material.

8 CAPORUSCIO: That's correct.

9 JUNG: That is a good candidate. But the clay
10 case, the other countries are Swiss and the other
11 France is the carbon steel ...

12 CAPORUSCIO: Yeah, they don't. They're not.

13 JUNG: Yeah, carbon steel is the primary
14 material.

15 CAPORUSCIO: We decided just let's ... let's
16 take a look, okay?

17 JUNG: Okay.

18 CAPORUSCIO: And what we did find out is
19 there's pyrite in the Wyoming bentonite, the buffer
20 material, that breaks down hydrogen sulfite gas. We
21 created chalcocite on the skin of the copper as a
22 protective layer. So that's that one.

1 The steels. We develop iron saponite on the
2 interface. We see minor amounts of magnetite also
3 created. And then a whole variety of other minor,
4 minor phases due to the trace elements and the steel.
5 So we see ... I'm sorry, I'm blanking.

6 JUNG: Yeah. So I understand that basically
7 the iron oxide have a very significant role to absorb
8 the salt actinides from the ... based on the previous
9 testing. So what is the ... how much efficient to,
10 like, to hold, to retain the ... hold the actinides in
11 that layer? What percent; can you tell me?

12 CAPORUSCIO: Don't have an answer for you yet.
13 Yet. Because it's such a fine layer, we've been trying
14 to recover enough to do some thermodynamic work on it.
15 We're just not there yet. We'd almost have to set up a
16 ... an experiment where we harvest iron saponite.

17 JUNG: Okay. The last question. Do you have
18 a plan for the other type of materials such as carbon
19 steel for testing?

20 CAPORUSCIO: Such as what? I'm sorry.

21 JUNG: Carbon steel.

22 CAPORUSCIO: Well we have been looking at low

1 carbon steel.

2 JUNG: Okay. Do you have any reports or ...
3 to publish?

4 CAPORUSCIO: I believe the Cheshire 2018,
5 which is one of the references in there, talks about
6 the steel. If it's not the '18, it's the '14. It's
7 one or the other. Both by Michael as lead author.

8 JUNG: Thank you.

9 CAPORUSCIO: Okay.

10 Did you want to say any more, Ed?

11 BAHR: Do we have other questions from ...
12 Bret Leslie.

13 LESLIE: Yeah. I'll ... I'll re-ask Andy's
14 question, because I marked it. Ed, on your slide, you
15 were talking about copper. And ... and it was a
16 corrosion-allowance material, which ... don't you mean
17 corrosion-resistant material?

18 MATTEO: Do I have to say my name when ...

19 LESLIE: Yes.

20 MATTEO: Ed Matteo, Sandia National Labs. So
21 we typically just say "allowance" because we know it's
22 going to corrode. And so we ... we allow for the

1 amount of time that it would give us as a corrosion
2 allowance material; it's synonymous with resistance.

3 LESLIE: Yeah, but it ... not in corrosion
4 science. Corrosion allowance ... you know, a corrosion
5 resistant, you choose copper because it's reducing and
6 ... and doesn't corrode.

7 So characterizing it as a corrosion-allowance
8 material suggests it's in a oxidizing environment.

9 MATTEO: It ...

10 LESLIE: So that ... I ... I'm just trying to
11 understand your choice of terminology.

12 MATTEO: Sure. It ... it just depends. It
13 just depends on whether it's reducing or oxidizing.
14 Also depends on, right, it would only be an issue in a
15 brittle shale where, again, it would resemble a
16 crystalline system with the potential for ... for
17 fracture percolation and effective flow associated with
18 that.

19 JUNG: So in this case, yeah, for the
20 oxidizing condition, you can maybe call that corrosion
21 allowance even though the copper, but the short term.
22 But the long term in anoxic condition, we usually call

1 this that a corrosion-resistance material. It's
2 categorized to that part, not corrosion allowance.

3 MATTEO: Okay.

4 JUNG: So that is only for like a brittle
5 shale is kind of oxidizing condition for the short-term
6 period?

7 MATTEO: That, I think would depend on the ...
8 yeah, on the actual shale.

9 JUNG: So in this case, which material is for
10 the overpack? Overpack is in this colonized copper,
11 right?

12 MATTEO: Are we talking about just in a
13 brittle shale now?

14 JUNG: Yes.

15 MATTEO: Okay.

16 JUNG: That is for the copper?

17 MATTEO: It could be copper if ... if that was
18 ... if you needed corrosion resistance and like, to the
19 extent that it was a crystalline formation. Or it
20 could be corrosion allowance where you ... the
21 performance metrics that you need out of the overpack
22 weren't something like, you know, near infinite

1 canister lifetime, as you would need in a crystalline
2 formation.

3 JUNG: In this case, in like an oxidizing
4 condition, usually we use ... we are supposed to use
5 like a stainless steel. Have the ...

6 MATTEO: Sure. Yeah, that's ... that would be
7 corrosion allowance, yes?

8 JUNG: No, it's corrosion resistance. In the
9 corrosion domain, we call this corrosion resistance.

10 MATTEO: I think ... yeah, I ... we have this
11 ... I'm not making this up. This is in several DOE
12 reports on repository design and that's the
13 nomenclature that's used and that's what I've adopted,
14 like, I can send you the reports. Several of them by
15 ... by Ernie Hardin.

16 LESLIE: Okay.

17 MATTEO: But it would be good to speak ...
18 this is always an issue in these ... disciplinary
19 fields to speak the same language, right, in terms of
20 like, the terminology that we use. So thank you for
21 that comment. So ...

22 LESLIE: Bret Leslie, Staff. So Florie,

1 basically, kind of a ... I'm ... let me know if this
2 characterization is right.

3 So even though you're doing a rocking
4 autoclave, you know, and ... and then if you look at
5 feedbacks. These are pretty water-limited situations
6 where you're getting relatively small amounts of
7 corrosion of the metal waste package, as compared to
8 something like Yucca Mountain, where water was much
9 more available, relatively speaking, which allowed much
10 more oxides to form. Does that ... am I off-base?

11 CAPORUSCIO: So I'm ... no, but maybe I didn't
12 ... sorry. Maybe I didn't mention. Most of our
13 reactions, the water-rock ratio was anywhere from 9 to
14 1, to 13 to 1. So these were water latent, and
15 actually, more so than Yucca Mountain, which was non-
16 saturated.

17 LESLIE: Thank you.

18 CAPORUSCIO: Okay.

19 BAHR: Thank you. I had a question for ...
20 for Carlos. In your ... you were talking about your
21 experiment S14 and you said you were primarily working
22 with changes in permeability to try to match that, and

1 you said it was a work in progress. If you're not able
2 to get a good match by simply adjusting the
3 permeability, what other factors do you think you might
4 need to either add to the model or parameters that you
5 might need to change? You ... you do list, in your
6 computational approach, a number of things that aren't
7 included in the model, currently. For example, no ...
8 no swelling is simulated and things like that. So can
9 you ... can you speculate on what other things might
10 need to be added to ... to try to improve the fit of
11 the model results to the data?

12 JOVE-COLON: Carlos Jove-Colon from Sandia
13 National labs. A good question. Well once we ... you
14 know, considering swelling in here, kind of a
15 simplification, I know. But we, for example have,
16 saturation model embedded, van Genutchen model, van
17 Genutchen model already embedded in there. That model
18 in itself actually has parameters in it. And we try to
19 maintain those parameters constant. I mean, not
20 changing them or not adjusting them; just permeability
21 to see if we can actually get, you know, to where we're
22 going to go with the trend.

1 But with this non-isothermal experiment, our
2 next steps to actually trying to tackle using ...
3 adjusting those parameters. In addition, to actually
4 either do a finer meshing, closer to the heat source,
5 and actually trying to adjust permeabilities close to
6 it, just to see the ... there's a level of isotropy in
7 the permeability that I actually ... we need to capture
8 that we are not, just because our mesh is too coarse.

9 So two ... those are the two things. Or maybe
10 three: the meshing, adjustment of permeabilities on a
11 finer scale, and also the saturation model here for the
12 van Genutchen parameters.

13 BAHR: Thank you.

14 Chandrika?

15 MANEPALLY: Carlos, Chandrika Manepally, Board
16 Staff. Carlos, this is continuing along the lines of
17 Jean's question. I'd like to understand the overall
18 goal of you participating in this DECOVALEX Task. Is
19 it to add capabilities to PFLOTRAN that are not there?
20 Because I'm assuming, if you use TOUGH-FLAC, you will
21 be able to model this without the chemistry part,
22 right? What is the goal, you know, in doing this task?

1 JOVE-COLON: Carlos Jove-Colon from Sandia
2 Labs. The goal is to actually ... I would call it ...
3 I don't like to use the word calibration too much,
4 because it's too ... covers too many things. But
5 validation, verification of a TH model for a bentonite
6 is ... I mean, the Kunigel bentonite has a significant
7 proportion of sand, it kind of behaves differently from
8 Wyoming, you know, but ... still, it's a bentonite.

9 But I think that the overall objective is, you
10 know, baseline. Our multi-phased transport models, in
11 the ... in both isothermal or non-isothermal case. So
12 that's, you know ...Developing a new capability, I
13 don't see ... I mean, I think I have to still try
14 modeling the data that exists right now before moving
15 into that direction. So, so far, I mean, it's still
16 work in progress. We don't see that we need to add a
17 new capability for now. Maybe we have to do something,
18 you know, for example, on the non-isothermal cases, you
19 know, capillary, you know, pressure modeling, I mean,
20 could be quite complex, et cetera, you know, but
21 PFLOTRAN as it stands today, is capable of, you know,
22 handling a equation of state... water, the kind of key

1 ingredients, I call it, to actually be able to model
2 this. We can get an overall trend, it's just that we
3 cannot match the data as good as we could. But before
4 I actually go and answer your question, I have to do
5 the things that I tell Jean to do, you know, try other
6 things until I say, "Okay. I give up."

7 MANEPALLY: Okay. Thank you.

8 BAHR: Okay. So I ... I think that ends our
9 technical presentations. So we do have time for public
10 comment. Do we have anyone in the room? I don't think
11 we have anyone who's signed up for a public comment
12 who's here in person. But if not, then we ... we have
13 several comments that have been added online.

14 LESLIE: Oh, Jean.

15 BAHR: Oh. Dick Parizek has a comment.

16 PARIZEK: I didn't sign up, but I'm ... thank
17 you for taking me on. I had a question specifically
18 with regard to this understanding of sealing versus
19 brittle behavior of an argillite. Sealing, I kind of
20 visualize like salt being plastic and deformed and if
21 you get rid of the porosity before you re-saturate it,
22 now you ... you can sort of get rid of your

1 permeability.

2 But in argillite, what do we mean by sealing?
3 And perhaps there could be a little more detail on
4 that, because that's the rock itself, not necessarily
5 the ... the backpack materials, the bentonite as an
6 example.

7 BAHR: Thanks for that comment. As I said at
8 the beginning, this is not really a forum for questions
9 and answers.

10 PARIZEK: Oh, okay, fine. I'll just list ...

11 BAHR: But that's ... but that ... that is a
12 ... something that we will add to the record ...

13 PARIZEK: Yeah, I raised the question, I'm
14 sorry.

15 BAHR: ... as something to think about.

16 Yeah.

17 PARIZEK: And then there was a question about
18 the temperature information that was provided in the
19 last speaker, extremely helpful. It went up to 200 to
20 300 degrees Centigrade, which obviously, changes
21 minerals. And it has all kind of mechanical
22 hydrological implications.

1 And the question from a design point of view,
2 what would be a reasonable temperature for a shale
3 repository or clay repository versus like, salt or ...
4 or other rock materials because of the perturbations
5 that that might cause. And it seemed like you could
6 manufacture some good things by temperature, and you
7 might get some bad things by temperature. So this was
8 ... clarity is needed there, I thought, from my point
9 of view.

10 There was a statement made earlier about the
11 bentonite becoming fully saturated in 25 years. Well
12 25 years for the bentonite, does that mean that the
13 repository itself becomes re-saturated in order to get
14 the bentonite saturated? So then now we have a
15 permeability effect of the constructed repository. So
16 there's issues I could see there that raise some
17 concern.

18 We looked at the stability of the rock and the
19 layering in the rock. It was interesting; experiments
20 showing horizontal bedding had an effect on the
21 mechanical behavior, but as I understand in shales, in
22 claystones, they could have residual pressure effects

1 as a result of a offloading. A glacial offloading.

2 We saw that in the Opalinus Clay. There's
3 suction effects that were being reported and water
4 migrating from the bottom and from the top, and so this
5 is sort of like a black hole, so there's a beautiful
6 repository self-contained. And then Chris Neuzil,
7 years ago, spoke of this on some of his shale
8 experiments. Presumably, that'll be discussed
9 tomorrow. But right away, a sucking shale is a
10 fantastic host rock, because maybe ... how many years
11 can you buy isolation in such an environment? But if
12 you open up a repository in that situation, what does
13 that do to the ... this beautiful system? And will the
14 system collapse or have a shorter lifespan because of
15 it?

16 But also, to say that the rock mass got back
17 to equilibrium in 25 years, as a result, it became
18 homogeneous and isotropic in terms of its behavior,
19 what about this residual stress situation on the more
20 regional scale for the rock mass? It seems like you
21 have a residual stress field that's encompassing the
22 experimental area of which you're studying, and it

1 might have some impacts on the behavior of that rock
2 mass. So there's some issues.

3 And then I have a question about surprises,
4 you know, in repositories. I worked on WIPP for a
5 number of years, and I was amazed when Pat ... Tom
6 Pickford calculated fluid migration toward a heat
7 source. And they ... they actually migrated and that
8 was not in my thought process. I mean, I have trouble
9 imagining weightlessness myself, and ... and zero
10 gravity. But to have fluid inclusions migrate in salt
11 was interesting.

12 And it was also surprising to have brine
13 occurrences in embedded salt, flushing in on you when
14 you're extracting salt. Wasn't exactly expecting that.
15 But pressurized brine below the salt horizon was a
16 surprise because you could now pressurize pockets and
17 hit them with a real rig and bring fluids up through
18 the repository to the surface. And these are not in
19 the thought process at the time. And who expected the
20 Asse Mine to be leaking water. Wait, this is Asse
21 Mine, and it's now got a problem. They ... wasn't
22 exactly a repository, it was over extracted salt,

1 perhaps, I guess maybe why it's leaking. But there's
2 always these surprises.

3 And so from a shale point of view, other than
4 the surprises maybe of this negative pressure
5 situation, you know, what other surprises that might
6 come out of the shale rock? I mean, every ... every
7 rock media has its own special behavior and things that
8 we don't always understand. It takes years to figure
9 these things out. But there must be some surprises in
10 the shale, and surely in the design requirements and
11 the whole overpack. All the issues that are ... brings
12 to mind.

13 So these are some thoughts as I kind of
14 listened to this. But early on, there were ... a lot
15 of progress has been made on shale, and on argillites.
16 And then the question is, you know, do we have at
17 depths of how many meters I didn't know how deep the
18 repository might be.

19 But isolation depths are kind of important, so
20 that was part of the thought process and we ... here
21 now, I guess 3- ... 300 meters to 1,000, or maybe 3-
22 ... yeah, 3,000 meters were some of the notes, I think,

1 so that's kind of deep. And at those depths, do we
2 have anything that acts like the ... the clays over in
3 Europe? I mean, most of our clays at that depth are
4 probably, I guess, not that plastic. They're not like
5 glacial clays, right? I'm not sure, you know, the
6 range of conditions you might have to try to pick the
7 rock site.

8 And there was an illustration that said the
9 stable occurrences of shale. And the stable
10 occurrences go up into the Dakotas. But it's not
11 stable with irregular glaciation. Glaciation is going
12 to come back and ... not in our lifetime, but it's
13 coming according to the ... all the work that's been
14 done dealing with what the mechanics are that drive the
15 climate change. So glaciation in some of the regions
16 of our country would clearly not be a stable effect in
17 terms of the flow field effects and the mechanical
18 effects as an example.

19 So ... and then to look at the Appalachian
20 Region, we have 40,000, 400,000 oil and gas wells, they
21 don't know where they ... many of them are. We have
22 now some funds to begin to start plugging some of these

1 wells. And there's thousands of them. And so there's
2 certain areas that we've already kind of meshed up in
3 terms of repository behavior. And we already have a
4 lot of experience with this whole question about
5 existing openings.

6 So there's a lot to think about in terms of
7 shale as being the new magic rock, right? The granite
8 was a great rock, but in ... when the Swiss got out of
9 the granite and seemed to head for the shales, they had
10 a good reason to do that, right, it was that whole
11 permeability problem that has to be dealt with.

12 So shales are great, and clays are great, but
13 they also must have some surprises. And so maybe
14 Chris, tomorrow, Chris Neuzil's talk, may talk about
15 some surprises, the unknowns he mentions. I'll be
16 curious to hear what he has to say.

17 Again, I don't expect answers, but I ... I'd
18 rather write all this down to you. I'd rather be able
19 to list it this way. Thank you.

20 BAHR: Thank you, Dick, that will be included
21 in the transcript due to our ... our great court
22 reporter, who is making notes here.

1 And now we have comments that have come in
2 online, I believe Bret Leslie is going to read those?

3 LESLIE: Yes. Bret Leslie, the Staff. There
4 are only two that came in. During Chris Camphouse's
5 opening presentation, Diane DeRigo, from Nuclear
6 Information and Resource Service just stated, "Please
7 expand on the validation of models." And that was her
8 ... her comment.

9 The next comment came in during the Q and A on
10 Jonny's talk. And this was by Stuart Stothoff from the
11 Center for Nuclear Waste Regulatory Analysis. "The
12 rapid thermal pressure response from the Bure Borehole
13 Experiment was also seen at the Mont Terri site with
14 heater tests. Our team interpreted that as rapid
15 mechanical propagation of swelling at the borehole wall
16 that rapidly changed the shape of the opening. In
17 other words, the processes near-field T to M to distil
18 P response." That's the summation of the ... of the
19 comments today.

20 BAHR: Okay. Well, that's the end of today's
21 meeting. I thank all the presenters and everyone who's
22 been listening in, both in person and online. And

1 we'll convene again tomorrow for another set of
2 interesting talks. And that will start at 12 Eastern
3 Time. So come back tomorrow, and we'll see you there.
4 Thank you.

5 [Whereupon, at 4:55 p.m., the meeting for Day
6 1 of 2 was adjourned.]

7 * * * * *

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22